

1 BEFORE THE ARIZONA POWER PLANT LS-345

2 AND TRANSMISSION LINE SITING COMMITTEE

3

4 IN THE MATTER OF THE APPLICATION OF ) DOCKET NO.  
 4 UNS ELECTRIC, INC. IN CONFORMANCE ) L-00000F-24-0056-  
 WITH THE REQUIREMENTS OF A.R.S. ) 00230  
 5 40-360, ET SEQ., FOR A DISCLAIMER )  
 OF JURISDICTION, OR, IN THE )  
 6 ALTERNATIVE, A CERTIFICATE OF )  
 ENVIRONMENTAL COMPATIBILITY )  
 7 AUTHORIZING THE EXPANSION OF BLACK )  
 MOUNTAIN GENERATING STATION, A )  
 8 NATURAL GAS-FIRED, COMBUSTION ) EVIDENTIARY  
 TURBINE POWER PLANT NEAR KINGMAN, ) HEARING  
 9 ARIZONA IN MOHAVE COUNTY. )  
 )

---

10

11

At: Phoenix, Arizona

12

Date: April 25, 2024

13

Filed: April 30, 2024

14

15

16

REPORTER'S TRANSCRIPT OF PROCEEDINGS

17

(Pages 260 through 465)

18

19

20

21

GLENNIE REPORTING SERVICES, LLC  
 Court Reporting, Video & Videoconferencing  
 1555 East Oranewood Avenue, Phoenix, AZ 85020  
 602.266.6535 admin@glennie-reporting.com

22

23

By: Robin L. B. Osterode, CSR, RPR  
 Arizona CR No. 50695

24

25

1 VOLUME I April 24, 2024 Pages 1 to 259  
2 VOLUME II April 25, 2024 Pages 260 to 465

3

4

5

INDEX TO PROCEEDINGS

6	ITEM	PAGE
7	Opening Statement of Ms. Grabel	20
8	Opening Statement of Mr. Woolsey	28
9	Opening Statement of Ms. Johnson	31
10	Opening Statement of Ms. Doerfler	35
11	Opening Statement of Ms. Reyes	37
12	Opening Statement of Ms. Scott	38
13	Public Comment Session	40
14	Closing Statement of Ms. Grabel	376
15	Closing Statement of Mr. Shrinath	395
16	Closing Statement of Ms. Johnson	413
17	Closing Statement of Ms. Doerfler	424
18	Closing Statement of Ms. Reyes	436
19	Closing Statement of Ms. Scott	440
20	Vote	458

21

22

23

24

25

1 INDEX (Continued):

2	INDEX TO EXAMINATIONS	
3	WITNESSES	PAGE
4	CLARK BRYNER, DYLAN BEARCE - Applicant	
5	Direct Examination by Ms. Grabel	61
6	Cross-Examination by Mr. Woolsey	147
7	Cross-Examination by Ms. Johnson	206
8	Cross-Examination by Ms. Doerfler	274
9	Cross-Examination by Ms. Reyes	279
10	Cross-Examination by Ms. Scott	280
11	Redirect Examination by Ms. Grabel	293
12	CARA FOGLER, ALEXANDER ROUTHIER, Ph.D. - Sierra Club and WRA	
13	Direct Examination by Mr. Woolsey	300
14	Direct Examination by Ms. Doerfler	314
15	Cross-Examination by Ms. Hill	334
16	Cross-Examination by Ms. Grabel	347
17	Cross-Examination by Ms. Johnson	359
18	Cross-Examination by Ms. Egan	361
19	Redirect Examination by Mr. Woolsey	368
20	Redirect Examination by Ms. Doerfler	370

21  
22  
23  
24  
25

1 INDEX (Continued):

2 INDEX TO EXHIBITS

3 NO.	DESCRIPTION	IDENTIFIED	ADMITTED
4 UNSE-1	Application for Disclaimer of Jurisdiction	143	18
5 UNSE-2	Testimony Summary of Clark Bryner	--	18
6 UNSE-3	Testimony Summary of Dylan Bearce	--	18
7 UNSE-4	Witness Presentation	67	18
8 UNSE-5	Proposed Black Mountain Expansion Vicinity and Site Maps	--	18
9 UNSE-6	UNSE 90-day Notice for Black Mountain Generating Station Expansion Project	--	18
10 UNSE-7	Exhibits Regarding Notice Requirements	--	18
11 UNSE-8	Receipt of Filing Fee	--	18
12 UNSE-9	Summary of Public Outreach	--	18
13 UNSE-10	Schematics of Proposed Black Mountain Generating Station Expansion	--	18
14 UNSE-11	Generating Unit Equipment List	149	18
15 UNSE-12	Photographs of Generating Unit Nameplates	--	18
16 UNSE-13	Proposed Form of Order on UNSE's Request for Disclaimer of Jurisdiction	--	18
17 UNSE-14	Arizona Capitol Times Article	130	18

1 INDEX (Continued):

2 INDEX TO EXHIBITS

3 NO.	DESCRIPTION	IDENTIFIED	ADMITTED
4 UNSE-15	UNSE 2023 IRP	144	18
5 UNSE-16	U.S. Energy Information Administration Glossary 6 Definitions	334	18
7 UNSE-17	Joint Stipulation of Admission of Facts	32	18
8 UNSE-18	BMGS Unit Operation 9 Statistics (2017-2023)	271	272
10 SC-1	UNS Response to SC DR 1.3 (including supplemental 11 response)	--	19
12 SC-2	Attachment to UNS Response to SC DR 1.3 titled "26-SC 13 1.3 Equipment File.xlsx"	149	19
14 SC-3	Attachment to UNS Response to SC DR 1.3 titled "27-SC 15 1.3 General Arrangement Schematic and Site Layout.pdf"	148	19
16 SC-4	UNS Response to SC DR 1.12	--	19
17 SC-5	UNS Response to SC DR 1.13 (including supplemental 18 response)	179	19
19 SC-6	UNS Response to SC DR 1.15 (including supplemental 20 response)	--	19
21 SC-7	UNS Response to SC DR 1.17	--	19
22 SC-8	UNS Response to SC DR 1.19	--	19
23 SC-9	UNS Response to SC DR 1.20 (including attached Form 24 EIA-860s from 2018-2022)	195	19
25			

1 INDEX (Continued):

2 INDEX TO EXHIBITS

3 NO.	DESCRIPTION	IDENTIFIED	ADMITTED	
4 SC-10	Attachment to UNS Response to SC DR 1.20 titled "SC 1.20 UNS 2023 EIA-860 Annual Report - Black Mtn"	195	19	
5				
6 SC-11	UNS Response to SC DR 2.2	--	19	
7				
8 SC-12	UNS Response to SC DR 2.3	202	19	
9				
10 SC-13	UNS Response to SC DR 3.6	172	19	
11				
12 SC-14	U.S. Energy Information Administration Instructions for Form EIA-860 (2023)	310	19	
13				
14 SC-15	Coolidge Expansion Project CEC - SRP - Decision No. 79020 (2023) (Excerpt)	--	19	
15				
16 SC-16	Coolidge Generating Station Original CEC - Decision No. 70636 (2008) (Excerpt)	--	19	
17				
18 SC-17	Sundance Expansion CEC - APS - Decision No. 79189 (2023)	--	19	
19				
20 SC-18	Sundance CEC Modification - APS - Decision 67504 (2005)	--	19	
21				
22 SC-19	Original Sundance CEC - APS - Decision 63863 (2001) (Excerpt)	--	19	
23				
24 SC-20	TEP Sundt/Irvington RICE Units - Decision 76638 (2018) (Excerpt)	--	19	
25				
	SC-21	2023 BMGS Air Permit No. 96392 (Excerpt)	194	19



1 INDEX (Continued):

2 INDEX TO EXHIBITS

3 NO.	DESCRIPTION	IDENTIFIED	ADMITTED
4 ArISEIA-1	ADEQ Air Permit for BMGS	234	19
5 ArISEIA-2	UNSE Supplemental Response To ArISEIA DR 1	217	19
6 ArISEIA-3	UNSE Response to ArISEIA DR 2	--	19
7 ArISEIA-4	UNSE Response to ArISEIA DR 3	--	19
8 ArISEIA-5	UNSE Response to ArISEIA DR 4.1	--	19
9 WRA-1	IEEE Standard 762-2023	348	19
10 S-1	Letter to Adam Stafford (April 24, 2024)	394	19
11 S-2	Letter from Commissioner Tovar (March 29, 2024)	--	19

12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25



1 BE IT REMEMBERED that the above-entitled  
2 and numbered matter came on regularly to be heard before  
3 the Arizona Power Plant and Transmission Line Siting  
4 Committee at 1200 West Washington Street, Phoenix,  
5 Arizona, commencing at 11:00 a.m. on April 25, 2024.

6 BEFORE: ADAM STAFFORD, Chairman

7 LEONARD C. DRAGO, Department of Environmental  
Quality  
8 ROMAN FONTES, Counties  
DAVID FRENCH, Arizona Department of Water Resources  
9 JON H. GOLD, General Public  
NICOLE HILL, Governor's Office of Energy Policy  
10 R. DAVID KRYDER, Agriculture Interests  
(Via Videoconference)  
11 MARGARET "TOBY" LITTLE, General Public  
GABRIELA SAUCEDO MERCER, Arizona Corporation  
12 Commission  
DAVE RICHINS, General Public  
13 SCOTT SOMERS, Incorporated Cities and Towns  
(Via Videoconference)

14

APPEARANCES:

15

For the Applicant:

16

Meghan H. Grabel, Esq.  
17 OSBORN MALEDON, PA  
2929 North Central Avenue, 20th Floor  
18 Phoenix, Arizona 85012

19

Megan Hill, Esq.  
UNS Energy Corporation

20

For the Arizona Corporation Commission Staff:

21

Maureen Scott, Esq.  
22 Samantha Egan, Esq.  
Staff Attorneys, Legal Division  
23 ARIZONA CORPORATION COMMISSION  
1200 West Washington Street  
24 Phoenix, Arizona 85007

25

1 APPEARANCES (Continued):

2 For Sierra Club:

3 Nihal Shrinath, Esq.  
4 Patrick Woolsey, Esq.  
5 SIERRA CLUB  
6 2101 Webster Street, Suite 1300  
7 Oakland, California 94612  
8 (Videoconference appearances.)

9 For AriSEIA:

10 Autumn T. Johnson, Esq.  
11 AriSEIA  
12 7144 East Stetson Drive, Suite 300  
13 Scottsdale, Arizona 85251

14 For WRA:

15 Emily Doerfler, Esq.  
16 WESTERN RESOURCE ADVOCATES  
17 1429 North 1st Street, Suite 100  
18 Phoenix, Arizona 85004

19 For SWEEP:

20 Chanele M. Reyes, Esq.  
21 ARIZONA CENTER FOR LAW IN THE PUBLIC INTEREST  
22 352 East Camelback Road, Suite 200  
23 Phoenix, Arizona 85012

24

25

1 CHMN STAFFORD: Resuming the hearing for  
2 Line Siting Case 230. Let's start by taking appearances  
3 again to make sure we have all the parties here, starting  
4 with the applicant.

5 MS. GRABEL: Thank you, Mr. Chairman.  
6 Meghan Grabel, from the law firm Osborn Maledon, on  
7 behalf of UNS Electric. And with me at counsel table is  
8 the Company's regulatory attorney, Megan Hill.

9 CHMN STAFFORD: Sierra Club. I believe we  
10 have Mr. Woolsey virtually?

11 MR. WOOLSEY: Yes, good morning,  
12 Mr. Chairman. Can you hear me?

13 CHMN STAFFORD: Yes.

14 MR. WOOLSEY: Patrick Woolsey, appearing on  
15 behalf of the Sierra Club, and my colleague Nihal  
16 Shrinath will be joining me here today as well.

17 CHMN STAFFORD: Thank you.

18 ArISEIA?

19 MS. JOHNSON: Good morning, Chairman,  
20 Members, Autumn Johnson, on behalf of the Arizona Solar  
21 Energy Industries Association or ArISEIA.

22 CHMN STAFFORD: Western Resource Advocates.

23 MS. DOERFLER: Good morning. Emily  
24 Doerfler here for Western Resource Advocates or WRA.

25 CHMN STAFFORD: SWEEP.

1 MS. REYES: Good morning, Chanele Reyes,  
2 from the Arizona Center for Law in the Public Interest,  
3 on behalf of the Southwest Energy Efficiency Project or  
4 SWEEP.

5 CHMN STAFFORD: And Commission Staff.

6 MS. SCOTT: Good morning, Chairman,  
7 Committee Members, Maureen Scott and Samantha Egan, on  
8 behalf of the Utilities Division Staff.

9 CHMN STAFFORD: Thank you.

10 Now, when we left off I believe we were on  
11 AriseIA's cross-examination of the applicant's witnesses.

12 MS. JOHNSON: We have concluded our  
13 cross-examination, Chairman. Thank you.

14 CHMN STAFFORD: All right. Well, before we  
15 move on to WRA's cross-examination, we have a number of  
16 new exhibits being introduced by both the applicant and  
17 Sierra Club.

18 Ms. Grabel, would you please describe the  
19 new exhibit from the applicant?

20 MS. GRABEL: Certainly. Thank you,  
21 Mr. Chairman. The exhibit that we have put forward is  
22 the former WRA exhibit that responds to Member Fontes's  
23 request for information about the different production  
24 capabilities of the two existing generating units at  
25 Black Mountain Generating Station.

1 CHMN STAFFORD: All right. Any opposition  
2 to the admission of UNSE-18?

3 (No response.)

4 CHMN STAFFORD: All right. Hearing none,  
5 it is admitted.

6 (Exhibits UNSE-18 was admitted into  
7 evidence.)

8 CHMN STAFFORD: We also have two new  
9 exhibits from Sierra Club. Mr. Woolsey, would you please  
10 identify these for us?

11 MR. WOOLSEY: Yes, Mr. Chairman, thank you.  
12 So yesterday the Sierra Club identified two additional  
13 exhibits that we believe are material to the case, which  
14 we shared with the other parties last night and filed in  
15 the docket this morning. Those are Sierra Club Exhibits  
16 SC-33 and SC-34. SC-33 is a Commission CEC Decision,  
17 Decision 70108 regarding Northern Arizona Energy's  
18 Expansion of the Griffith Gas Plant. And SC-34 is a  
19 Staff filing in that same case, regarding the issue of  
20 Commission jurisdiction, which addresses the same  
21 question that the Committee is considering here today.  
22 And I believe Ms. Bahr has handed out hard copies for the  
23 Committee members in the room, correct?

24 CHMN STAFFORD: Yes. Do all the parties  
25 have copies of all these -- both these exhibits?

1 MS. GRABEL: We do.

2 CHMN STAFFORD: As do the Committee  
3 members. The applicant and Sierra Club will need to  
4 e-mail those to Tod to get to Members Somers and Little,  
5 who are appearing virtually today.

6 MR. WOOLSEY: Thank you, Mr. Chairman.  
7 We'd be happy to -- happy to do that. And -- and I would  
8 add, when -- when we did share these exhibits with the  
9 parties last night, we did ask if the parties would be  
10 willing to stipulate to these exhibits, and as of now  
11 we've heard from SWEEP and ArISEIA have agreed to  
12 stipulate, but we haven't received responses from the  
13 other parties, but we would respectfully ask that SC-33  
14 and 34 be admitted.

15 CHMN STAFFORD: Any objections from the  
16 applicant?

17 MS. GRABEL: No, we will stipulate to their  
18 admission.

19 CHMN STAFFORD: Excellent. SC-33 and 34  
20 are admitted.

21 (Exhibits SC-33 through SC-34 were admitted  
22 into evidence.)

23 CHMN STAFFORD: On to WRA. It is now your  
24 opportunity to cross-examine the applicant's witnesses.  
25 Please proceed.

1 MS. DOERFLER: Thank you. Can you hear me  
2 all right?

3 (No response.)  
4

5 C R O S S - E X A M I N A T I O N

6 BY MS. DOERFLER:

7 Q. Mr. Bryner, you stated yesterday that existing  
8 units at Black Mountain are not connected to a cooling  
9 tower and that said cooling tower is also unnecessary.

10 Is that an accurate representation of your  
11 statement?

12 A. (MR. BRYNER) Yes. So I would -- I would say  
13 that the first part of the statement when I mentioned  
14 that the cooling towers are not connected, they do not  
15 connect the units -- the two units, but the second part  
16 of your statement I would say is uncorrect [sic] -- or  
17 incorrect, it's not that they're unnecessary, it's that  
18 they make the units more efficient.

19 Q. Okay. Fair enough.

20 So how would you define what is necessary to a  
21 plant?

22 A. (MR. BRYNER) If I could defer to Mr. Bearce on  
23 that, he's more of an expert on the plants.

24 A. (MR. BEARCE) So I will -- I will define  
25 necessary as the components needed to convert the

1 chemical energy through the cycle to electrical energy,  
2 and so for the project at hand the primary components are  
3 the starting motor, compressor, power turbine, low  
4 pressure turbine, coupling, genset, would be the primary  
5 components of the generation of electricity for this  
6 technology.

7 Q. Would you find the transmission of that energy  
8 or the ability to transmit said energy to your customers  
9 necessary to its -- the functioning of a generation --  
10 generating station?

11 A. (MR. BEARCE) I would say that it's not necessary  
12 to generate electricity, but to get it to the end user,  
13 it is necessary.

14 Q. So the purpose of the generating station is  
15 served by equipment that is used to transmit that energy  
16 to your customers; is that correct?

17 A. (MR. BEARCE) That's correct.

18 Q. Okay. Are station service transformers and  
19 generator step-up transformers, are they necessary for  
20 the efficient and safe transmission and distribution of  
21 electricity to the customers that you serve?

22 A. (MR. BEARCE) Yeah. I would say yes.

23 Q. You had stated in, I believe, UNSE-11 that the  
24 station service transformer and generator step-up  
25 transformer are shared equipment through the existing



1 units and the new -- four new units that are to be  
2 installed at Black Mountain; is that correct?

3 A. (MR. BEARCE) The GSUs are not shared on the  
4 existing units.

5 Q. Are they shared on the proposed units?

6 A. (MR. BEARCE) The proposed units, the four units  
7 that -- there would be two GSUs for the four units, so  
8 there would be a GSU shared by two units. So in that  
9 context, yes.

10 Q. Are you familiar -- I can direct this to both of  
11 you, are either of you familiar with ARS 40-360.06?

12 A. (MR. BRYNER) If you wouldn't mind reading it,  
13 that would be helpful.

14 Q. Absolutely.

15 I can kind of move on to the next question, so  
16 subject to tech -- to check, would you agree that ARS  
17 40.360.06(5) states that the Committee is to take into  
18 consideration existing scenic areas, historic sites, and  
19 structures of archaeological sites at or in the vicinity  
20 of the proposed site?

21 MS. HILL: I'm sorry, Mr. Chairman, may we  
22 have a moment to put the statute in front of the  
23 witnesses?

24 CHMN STAFFORD: Hold on a second. You  
25 don't need to ask him what the statute says.

1 MS. DOERFLER: Fair enough.

2 Q. Mr. Bearce, you had stated yesterday that beyond  
3 aspects of public outreach, that there is very little  
4 regulatory oversight over the construction of generating  
5 stations that is not redundant to the Certificate of  
6 Environmental Compatibility process; is that an accurate  
7 representation of your statement?

8 MS. GRABEL: Mr. Chairman, I think I -- I  
9 object to that. I don't think that was directed to the  
10 correct witness. I think Mr. Bryner was testifying  
11 regarding --

12 MS. DOERFLER: Fair enough.

13 MS. GRABEL: -- the -- the factors at issue  
14 in the CEC proceedings.

15 CHMN STAFFORD: Well, they are on a panel,  
16 so whomever -- whoever is qualified and able to answer  
17 the question maybe do so from the panel.

18 MR. BRYNER: I feel comfortable answering  
19 that question. So I'll go ahead and answer that one. So  
20 yes, that's correct, as to what I said yesterday  
21 regarding the -- the overlap of different permits, but I  
22 did kind of qualify that by it depends on the site.

23 BY MS. DOERFLER:

24 Q. Sure.

25 Arizona has 22 federally recognized tribes who

1 have been here for 12,000 years, would you say that  
2 there's a risk of the construction or expansion of the  
3 generating station may affect historic sites and  
4 structures or archaeological sites?

5 A. (MR. BRYNER) So I know, looking at the past  
6 site, there was an archaeological study that was done, so  
7 we have that information. And it's included in our, I  
8 can't remember, UNSE-4 -- no, UNSE-1 in our application.

9 Q. Can you name any regulations that would require  
10 you to proactively find and protect archaeological and  
11 historic sites if a CEC process is not conducted?

12 A. (MR. BRYNER) There's all sorts of different  
13 permits that have different triggers that require  
14 cultural review.

15 MS. DOERFLER: That is all my questions.

16 CHMN STAFFORD: Thank you.

17 Next up is SWEEP.

18 MS. REYES: Good morning. I just have a  
19 couple questions, and I believe they're directed to  
20 Mr. Bryner. I apologize, I can't see your face very  
21 well.

22 //

23 //

24 //

25 //

1 C R O S S - E X A M I N A T I O N

2 BY MS. REYES:

3 Q. I believe yesterday you stated that the Arizona  
4 Corporation Commission can disallow prior major  
5 investments if it later finds those investments to not be  
6 prudent; is that correct?

7 A. (MR. BRYNER) That's correct.

8 Q. To your knowledge, how many times has the  
9 Commission disallowed major investments by UNS or TEP as  
10 imprudent?

11 A. (MR. BRYNER) I'm not the person to answer that.  
12 I've really not been involved in that in depth with our  
13 rate cases.

14 Q. Okay. So I guess may not be able to answer  
15 this, but is it your experience working with the  
16 utilities that the Corporation Commission often disallows  
17 major investments because they were later found  
18 imprudent?

19 A. (MR. BRYNER) Again, I really have no experience  
20 on that.

21 Q. And, Mr. Bearce, would you have any experience  
22 in that?

23 A. (MR. BEARCE) I do not.

24 MS. REYES: Okay. Thank you so much.  
25 Those are all my questions.

1 CHMN STAFFORD: All right. Thank you.

2 Commission Staff?

3

4 C R O S S - E X A M I N A T I O N

5 BY MS. SCOTT:

6 Q. Good morning. And I apologize if my questions  
7 are a little bit repetitive at times, when you go last,  
8 that's a risk. I've tried to weed out that, but you may  
9 find some to be repetitive. And I would ask whoever  
10 feels most qualified to answer the questions do so. I  
11 divided this into subject areas and the first area I  
12 wanted to address with you were what you had stated in  
13 response to Commissioner Tovar regarding the existing  
14 units and the fact that there was no CEC for those.

15 Can you explain, first of all, why UNSE  
16 filed this application.

17 A. (MR. BRYNER) I think if you're okay, I'd like  
18 our legal counsel to answer that one.

19 Q. That's fine. Thank you.

20 MS. GRABEL: So yes, so thank you,  
21 Mr. Chairman, Maureen, the Company filed this application  
22 because it has its own interpretation of the law. We  
23 think it's a plain meaning, when looked in the context of  
24 what we're building, but we believe that there have been  
25 incidences where other parties have filed for CEC

1 applications under similar circumstances, even though  
2 they may not have had to. And there has never been a  
3 Committee CEC Decision or Commission Decision or a Court  
4 Decision, for that matter, that actually addresses the  
5 issue of whether individual units under 100 megawatts is  
6 a plant under ARS 40-360.09.

7 MS. SCOTT: Okay. Thank you, Megan, that  
8 was very helpful.

9 Q. I think, in response to Commissioner Tovar,  
10 again -- and I'm trying to flesh out things for the  
11 commissioners in -- that were raised in her letter -- you  
12 acknowledge that there's no CEC for the existing plant  
13 and wasn't when UNSE acquired the existing units,  
14 correct?

15 A. (MR. BRYNER) That's correct.

16 Q. And you also indicate in response that you felt  
17 this was important precedent for this case?

18 A. (MR. BRYNER) I'm not really sure, I guess, what  
19 you're asking about referring to on the precedent.

20 Q. Okay. I'm just more or less saying, I think, is  
21 it correct that you believe the fact that no CEC was  
22 issued in that case may indicate to you that there  
23 shouldn't be one issued in this case or one is not  
24 necessary?

25 A. (MR. BRYNER) Thank you for clarifying that. I

1 would say no, we're not looking to that as precedent.

2 Q. Okay. Thank you.

3 Do you know if there was ever an application  
4 filed with the Commission for a CEC for those two units?

5 A. (MR. BRYNER) I'm not aware of one. I don't  
6 believe there was a docket that was ever opened.

7 CHMN STAFFORD: I believe the parties  
8 stipulated to that fact already, that there was never a  
9 CEC application for the existing plant and that no  
10 disclaimer of jurisdiction was requested for that plant  
11 either. I believe those are both stipulated to in the  
12 joint stipulation of facts. Please correct me if I'm  
13 wrong, but that is my recollection of it.

14 Yes, it's stipulation of fact number 10,  
15 "No CEC nor disclaimer of jurisdiction has ever been  
16 obtained from BMGS."

17 MS. SCOTT: Okay. Thank you, Chairman.  
18 I -- I forgot that.

19 Q. Okay. I'd -- I'd also like to ask you, in the  
20 letter you state that you -- you are aware of facilities  
21 in similar situations that have obtained a CEC, can you  
22 identify those facilities and cases and how they are  
23 similar?

24 A. (MR. BRYNER) So I don't know if I can identify  
25 the case numbers specifically, but I know we

1 referenced -- so with the Company, well, with our  
2 affiliate, TEP, we had the RICE units, again, not sure  
3 what the case number was on that. So that was 10,  
4 roughly, 20-megawatt RICE units, and so that totaled  
5 200 megawatts, and we did obtain a CEC for that.

6 I guess other cases would have been with other  
7 utilities, so I'd rather not, kind of, I guess, provide  
8 much information there, because I'm not that familiar  
9 with them.

10 Q. Okay. So you are aware of other situations,  
11 though, involving other utilities where a CEC has been  
12 obtained in similar circumstances?

13 A. (MR. BRYNER) Correct. I believe we spoke about  
14 the SRP Coolidge plant and a couple others.

15 Q. Okay. Now, UNSE chose to utilize four separate  
16 units with a nameplate rating of 50 megawatts each,  
17 correct?

18 A. (MR. BRYNER) Approximately 50 megawatts. We're  
19 not 100 percent on that.

20 Q. Okay.

21 A. (MR. BRYNER) But definitely less than  
22 100 megawatts.

23 Q. Okay. And was that need identified in both your  
24 recent IRP and rate case?

25 A. (MR. BRYNER) I know it was identified in the



1 IRP, I'll have to defer to maybe our legal counsel knows  
2 if it was identified in the rate case.

3 Q. That's okay. I don't -- I'll move on from that.

4 How were the facilities chosen for this project?

5 A. (MR. BRYNER) Maybe Mr. Bearce can take that one.

6 Q. Thank you.

7 A. (MR. BEARCE) So when we do a siting of a  
8 generation asset, there are a number of factors that come  
9 in play. And so proximity to transmission, proximity to  
10 fuel, where the load is needed, where the weaknesses of  
11 the system may or may not be, where the growth profile  
12 may exist, things of that nature are all special  
13 considerations, and there's a lot of assumptions as well  
14 in play, because the development of these projects take  
15 many, many years.

16 So there's a lot of things that we, you know,  
17 you hear about growth, customer base, large industrial  
18 customers, there's a lot of factors that come in that all  
19 kind of aggregate in what makes the most sense. And  
20 given the import requirements for that Black  
21 Mountain/Mohave County area, it made sense that local  
22 generation was the most sensible solution. And using  
23 what we classify as a brownfield actually creates a cost  
24 savings, and so that's another economic portion of the  
25 decision. And that's where this was the most favorable

1 location for the project.

2 Q. Okay. And you determined, too, that four  
3 individual units with nameplate capacities of  
4 50 megawatts would be the best choice for this project?

5 A. (MR. BEARCE) That is correct.

6 Q. And why was that?

7 A. (MR. BEARCE) Sorry, I wanted to put it on mute  
8 to move it, so I don't make a bunch of noise.

9 So for this particular load profile for -- for  
10 UNS Electric in the Mohave County area, the peaking units  
11 we've used, they're very quick on, so we call them 5- to  
12 10-minute machines, which means that they can be dead  
13 stop, parade rest we call it, and in five minutes, we're  
14 producing energy, which is really good for fast  
15 responding.

16 There's a lot of intermittency on the system.  
17 There's a lot of variable resources. And so when you  
18 have four separate machines, they can all be operated,  
19 and they will be operated separately, which means you end  
20 up with four times the ramp rate, you end up with larger  
21 fluctuations, but you can only run one unit to meet very  
22 low load demand requirements, but you can start four, and  
23 you get that rapid response.

24 A larger-frame machine doesn't meet those needs.  
25 You have, you know, minimum off times of over four hours,

1 things of that nature, that don't give the flexibility  
2 for the requirements, based on the load profile and the  
3 seasonal variation in that area. So this is the best  
4 technology for that.

5 Q. So is my understanding correct, then, that two  
6 100-megawatt facilities or one 200-megawatt facilities  
7 just would not have worked as well?

8 A. (MR. BEARCE) Not as well, that is correct.

9 Q. Okay. And you spoke also about using these  
10 facilities either alone, depending upon what's needed, or  
11 together to address a particular situation; is that  
12 correct?

13 A. (MR. BEARCE) I wouldn't use those exact words,  
14 but I would say we would dispatch them to the need, and  
15 so the balancing authority has the ability to start, you  
16 know, one, you know, one right after another, if so  
17 needed. For a contingency, for example, let's say that  
18 there's another loss of a large generator somewhere and  
19 they need to make up that per NERC requirements, you  
20 know, they could push start on several, but the idea is  
21 to be able to dispatch them independently, which is what  
22 we do now, and what we would do down the road to meet  
23 whatever, you know, whatever reliability considerations  
24 are at hand at the moment's time.

25 Q. Okay. That did sound better than what I said.

1 A. (MR. BEARCE) You did fine.

2 Q. So you could push-start two units together,  
3 correct?

4 A. (MR. BEARCE) They have individual faceplates,  
5 and that's if you just kind of picture a separate remote  
6 control, if you will, digitally. You have to start them  
7 independently, you can't just push start and start  
8 multiple, but they can push start on one, get that  
9 sequence, initiate it, and then go right to the next  
10 unit.

11 Q. Okay.

12 A. (MR. BEARCE) So yes, but you can't push start  
13 and have multiple engines start, it's --

14 Q. Okay.

15 A. (MR. BEARCE) They're controlled independent of  
16 one another.

17 Q. Understood. Thank you.

18 So at some point, if you needed it, you could  
19 have all four of those units operating at once?

20 A. (MR. BEARCE) That's correct.

21 Q. Okay. And how -- how does that interrelate or  
22 interact with the two existing units?

23 A. (MR. BEARCE) So we have what we call a generator  
24 stack and we have an economic dispatch model, so based on  
25 economics, load profile, load demand, we will start, you

1 know, one, two, three, four, whatever is needed. And so  
2 it really does vary even, you know, morning to afternoon  
3 can have a different load shape so that's what drives it.

4 Q. Okay. So potentially all six of those units  
5 could be operating at one time?

6 A. (MR. BEARCE) That is correct.

7 Q. Okay. Does UNSE intend to site future units at  
8 the Black Mountain, if necessary?

9 A. (MR. BEARCE) We have no known plans of that.  
10 This is really what the system needs and that's what  
11 we're proposing today.

12 Q. Okay. Have you ever studied how many additional  
13 units you could site at Black Mountain, if necessary?

14 A. (MR. BEARCE) I've actually not looked at the  
15 total volume of units, just what -- we just sized what  
16 was appropriate for the current needs.

17 Q. Okay. Thank you.

18 And yesterday there was a lot of discussion  
19 about the 100-megawatt nameplate rating, would you agree  
20 with that?

21 A. (MR. BEARCE) I would agree.

22 Q. Okay. Would you agree with Staff's position  
23 that the 100-megawatt nameplate rating most likely  
24 reflects a balance on the need for a CEC, in that it  
25 exempts, it appears, smaller plants from the process?

1 A. (MR. BEARCE) Are you asking for my opinion on  
2 this matter? I'd rather defer that.

3 Q. I was asking for your opinion, if you have one.

4 A. (MR. BEARCE) So please ask the question one more  
5 time, I'm sorry.

6 Q. Sure. In Staff's letter we talked about the  
7 100-megawatt nameplate rating, and the fact that it may  
8 have represented a balance that was struck to exempt  
9 small facilities from the CEC process and include larger  
10 facilities in that process only.

11 A. (MR. BEARCE) I would say it was -- I mean, I  
12 don't -- I don't know, I wasn't part of those  
13 conversations, but I think that this was to draw a  
14 definitive line, and I feel that's at least what it  
15 appears to be.

16 Q. Okay. One more question on that. Does it make  
17 sense, in your opinion, that two 60-megawatt units versus  
18 one 120-megawatt unit should be treated differently?

19 A. (MR. BEARCE) I think every installation should  
20 be carefully evaluated, and -- and then refer back to the  
21 statutes and the requirements for each -- each unique  
22 circumstance.

23 Q. Okay. And just to follow up on that quickly,  
24 with respect to some of your responses to me today, and  
25 also with respect to the meaning of the term "separate"

1 in the statute, which has been a significant area of  
2 discussion here, you would agree that there were -- are a  
3 lot of factual issues that enter into that, correct?

4 A. (MR. BEARCE) I would agree.

5 Q. Okay. Thank you.

6 I have another question for you, as far as the  
7 CEC itself. Are there benefits, in your opinion, to  
8 having a CEC, particular benefits to that?

9 CHMN STAFFORD: You mean in addition to  
10 complying with the law.

11 MS. SCOTT: Yes.

12 A. (MR. BRYNER) So, yes, that would be the primary  
13 benefit. We want to make sure we're following the law.  
14 I would say, in reference to some of the prior cases that  
15 got CECs that didn't meet the nameplate capacity of each  
16 of the individual generating units, it would provide some  
17 certainty as far as what might be included in rates or  
18 other things like that going forward or maybe for  
19 financing, other reasons like that.

20 Q. Would it be important for insurance or that type  
21 of --

22 A. (MR. BRYNER) I'm not really an expert on that,  
23 so I'm not sure.

24 Q. But it does -- you acknowledge that it does have  
25 some benefits, or would have, to the Company?

1 A. (MR. BRYNER) I would say, depending on the  
2 situation, it could.

3 Q. Okay. And would you agree with me, based upon  
4 the cases, prior Decisions of the Commission that have  
5 been referred to, that an entity can always obtain a CEC  
6 where the circumstances are questionable?

7 A. (MR. BRYNER) Sorry, did you say an entity can  
8 always obtain a CEC?

9 Q. A utility could obtain a CEC where -- where it's  
10 questionable, whether they need it or not?

11 A. (MR. BRYNER) I would say that's really not up to  
12 the utility. The utility can apply for the CEC, but I'm  
13 not sure that they can obtain it. I think the Committee  
14 could say, hey, we're not going to hear this, the  
15 Commission could, you know, likewise, say the same thing,  
16 but I would say the utility could always apply.

17 Q. Okay. Thank you.

18 Okay. I think -- I think that leaves me with  
19 just one area I wanted to follow up on. Yesterday there  
20 was quite a bit of discussion about overlap between, for  
21 instance, ADEQ's notice about water, impacts from a  
22 CEC -- or not a CEC, but siting of facilities, same with  
23 air quality control, I believe you -- it was indicated  
24 there are some notice requirements there. Would you  
25 agree with me that -- I don't want to get into the



1 legislative intent, because I know you're -- you're not a  
2 lawyer -- but would you agree with me that part of the  
3 Line Siting Statute or process, let me say, part of the  
4 Line Siting process was to bring all elements involving  
5 Line Siting into this forum?

6 A. (MR. BRYNER) So I guess when you say "Line  
7 Siting," we can probably be a little more generic and go  
8 along with the Power Plant and Line Siting, and I believe  
9 that's pretty well stated in the statute, correct?

10 Q. Yes. Okay. Thank you.

11 So that, in this process, there are many, many  
12 issues addressed or dealt with beyond the particulars of  
13 ADEQ's function, air quality function, this forum brings  
14 them all together and invites participation by consumers,  
15 if they so choose?

16 A. (MR. BRYNER) I would say with, you know, respect  
17 to going back to the statute and looking at the makeup of  
18 the Committee, you know, we've got representatives from  
19 each of those state agencies, along with representatives  
20 or -- or members who represent the general public and  
21 different things like that, so in that sense, bringing  
22 everybody to one -- one place, I would say that's  
23 correct.

24 Q. And do you believe that's important?

25 A. (MR. BRYNER) I believe that, you know, following

1 whatever the laws are is very important.

2 Q. Okay. Thank you.

3 Chairman, that's all I have. Thank you.

4 CHMN STAFFORD: All right. Thank you.

5 Ms. Grabel, do you have any redirect?

6 MS. GRABEL: Just briefly, Mr. Chairman,  
7 yes. Thank you.

8

9 R E D I R E C T E X A M I N A T I O N

10 BY MS. GRABEL:

11 Q. And I think, let me turn this on -- I think I'm  
12 going to direct most of the questions to Mr. Bearce,  
13 because I think you talked most yesterday.

14 So the Sierra Club and ArISEIA asked a lot of  
15 questions about the connections of various equipment  
16 through wires and pipes.

17 Do you recall that line of questioning?

18 A. (MR. BEARCE) I do.

19 Q. So let's talk about those shared components.  
20 Would you agree that each shared component could be  
21 separately constructed for each individual generating  
22 unit?

23 A. (MR. BEARCE) Absolutely.

24 Q. Would you agree that each shared component will  
25 be needed for support services, whether we build one unit

1 or four units?

2 A. (MR. BEARCE) That's correct.

3 Q. Would you agree that sharing these various  
4 facilities allows for economies of scale and cost  
5 savings?

6 A. (MR. BEARCE) Yes.

7 Q. Is there any way that the nameplate rating of a  
8 generating unit can be impacted by shared facilities?

9 A. (MR. BEARCE) No, the nameplate rating doesn't  
10 change.

11 Q. So the shared facilities may increase the actual  
12 output, but the nameplate rating will always be  
13 consistent?

14 A. (MR. BEARCE) The nameplate is fixed regardless  
15 of what you do at the site.

16 Q. And that's true with the cooling tower, as much  
17 as anything else, correct?

18 A. (MR. BEARCE) That is correct.

19 Q. While we're on the subject of the cooling tower,  
20 do Units 1 or 2 at the existing Black Mountain Generating  
21 Station have separate cooling loops?

22 A. (MR. BEARCE) That's correct.

23 Q. So loop 1 is used for Unit 1, and loop 2 is used  
24 for Unit 2, correct?

25 A. (MR. BEARCE) That's correct.

1 Q. But they're housed in the same big box, which is  
2 what we see between the two; is that correct?

3 A. (MR. BEARCE) Yes.

4 Q. That's a layman's term.

5 There was some line of questioning yesterday  
6 from the Sierra Club about how a generator and a turbine  
7 might have different nameplate capacities; is that  
8 correct?

9 A. (MR. BEARCE) Yes.

10 Q. Would you agree that the manufacturer sets the  
11 nameplate that's attached to each generating unit?

12 A. (MR. BEARCE) Yes.

13 Q. And would you agree that the manufacturer of the  
14 generating set knows the ratings of both the generator  
15 and the turbine?

16 A. (MR. BEARCE) Yes.

17 Q. So then would you agree that the nameplate  
18 rating placed on the generator is the nameplate rating of  
19 that generating unit?

20 A. (MR. BEARCE) Absolutely.

21 Q. There were also some questions from the  
22 Committee, I think, about the last-built combined-cycle  
23 plant, and I think there was some reference to the Gila  
24 Power Station and the Harquahala Power Station.

25 Do you recall that?

1 A. (MR. BEARCE) I do.

2 Q. If the capacity of the Gila and Harquahala  
3 generating units had been available -- had not, excuse  
4 me, been available to TEP or UNSE to buy, would TEP and  
5 UNSE have constructed them?

6 A. (MR. BEARCE) Very highly likely.

7 Q. And that was in 2015?

8 A. (MR. BEARCE) That's correct.

9 Q. Thank you.

10 I know that you were shown the current air  
11 permit application that the Company has filed, as well as  
12 the air permits that have been granted to the Company for  
13 the Black Mountain Generating Station, correct?

14 A. (MR. BEARCE) That's correct.

15 Q. And I'm not going to take the time to pull up  
16 those exhibits. I think they were Sierra Club 22 and 21,  
17 but do you recall whether, even if we file one permit,  
18 are the individual units separately identified within  
19 that permit?

20 A. (MR. BEARCE) They are.

21 Q. And within that permit application as well?

22 A. (MR. BEARCE) That's correct.

23 Q. Thank you.

24 And I know that you were also directed to the  
25 UNSE -- to the EIA-360 form, which is also a Sierra Club

1 exhibit, and they noted that that applies to the entire  
2 generating station, not just the generating units; is  
3 that correct?

4 A. (MR. BEARCE) That's correct.

5 Q. Is that because of the design of the EIA-360  
6 form?

7 A. (MR. BEARCE) Yeah, I feel like that's a product  
8 of the form.

9 Q. Right. And are the units separately reported on  
10 that form?

11 A. (MR. BEARCE) Yes.

12 Q. Okay. Thank you.

13 And just to clarify, a generating station does  
14 not have a nameplate rating, correct?

15 A. (MR. BEARCE) That's correct.

16 Q. All right. Thank you.

17 And I think my final question is you were asked,  
18 again by Member Fontes, whether demineralized -- the  
19 demineralized tanks could cross-feed to each unit. Were  
20 you able to determine that information?

21 A. (MR. BEARCE) Yeah. And if you don't mind, I've  
22 got to read it, because the details of it are -- I'm not  
23 there every day.

24 So the demineralized tanks are interconnected to  
25 the common header. The demineralized pumps pump water

1 from the tanks to a common header, but the SPRINT and NOx  
2 water injection pumps take suction off the headers and go  
3 to the individual units, and they have their own set of  
4 filtration skids and piping that go to each separate  
5 unit. So from that point they are completely separate  
6 and independent, but they can -- yeah, I think that  
7 answers the question.

8 MS. GRABEL: I have no further questions.

9 CHMN STAFFORD: Thank you.

10 Now, up next we have, I believe, Sierra  
11 Club and WRA had witnesses to present jointly in a panel?

12 MR. WOOLSEY: Yes, Mr. Chairman. And after  
13 the -- after the hearing yesterday we conferred with our  
14 witness, Ms. Fogler, and she was able to reschedule some  
15 commitments so that she would be able to testify today.  
16 So we are prepared to proceed with Ms. Fogler on a panel  
17 with WRA's witness, as planned.

18 CHMN STAFFORD: Excellent.

19 MR. WOOLSEY: So, Mr. Chairman, Sierra Club  
20 calls Cara Fogler.

21 CHMN STAFFORD: All right. And would WRA  
22 like to call Dr. Routhier?

23 MS. DOERFLER: We would. Thank you.

24 CHMN STAFFORD: All right. Well, let's  
25 swear them in.

1 Dr. Routhier, would you prefer an oath or  
2 an affirmation?

3 DR. ROUTHIER: An affirmation, please.

4 (Alexander Routhier, Ph.D., was duly  
5 affirmed by the Chairman.)

6 CHMN STAFFORD: Your witness's name is not  
7 displaying in the frame.

8 MR. WOOLSEY: Mr. Chairman, you're  
9 referring to Ms. Fogler's name on the --

10 CHMN STAFFORD: Yes. Yes. It makes it  
11 easier if the name appears on the screen.

12 MR. WOOLSEY: So I can see -- I can see  
13 Ms. Fogler's name on my end on the screen, but maybe it's  
14 appearing differently to you all.

15 CHMN STAFFORD: It is, apparently.

16 All right. Well, Ms. Fogler, do you prefer  
17 an oath or affirmation?

18 MS. FOGLER: Affirmation, please.

19 (Cara Fogler was duly affirmed by  
20 the Chairman.)

21 CHMN STAFFORD: Mr. Woolsey, please begin.

22 MR. WOOLSEY: Thank you, Mr. Chairman.

23 //

24 //

25 //

called as witnesses as a panel on behalf of Applicant,  
GLENNIE REPORTING SERVICES, LLC 602.266.6535  
www.glennie-reporting.com Phoenix, AZ



1 CARA FOGLER,  
2 having been previously affirmed or sworn by the Chairman  
3 to speak the truth and nothing but the truth, were  
4 examined and testified as follows:

5

6 DIRECT EXAMINATION

7 BY MR. WOOLSEY:

8 Q. And, good morning, Ms. Fogler, or I guess  
9 afternoon to you.

10 Ms. Fogler, would you please state and spell  
11 your name?

12 A. (MS. FOGLER) My name is Cara Fogler, spelled  
13 C-a-r-a, last name Fogler, F-o-g-l-e-r.

14 Q. And would you please state your occupation and  
15 business address.

16 A. (MS. FOGLER) I'm a managing senior analyst at  
17 the Sierra Club. My business address is 50 F Street  
18 Northwest, 8th Floor, Washington, D.C. 20001.

19 Q. And would you please summarize your professional  
20 and educational background?

21 A. (MS. FOGLER) Sure. I am the senior analyst for  
22 Sierra Club's work assessing gas-fired power plants and  
23 their role in the electric sector. I have worked on  
24 electric sector and gas development issues for nearly a  
25 decade, with the focus on the climate, environmental,

1 economic, and equity impacts of gas generation resources,  
2 pipelines and, as needed, the infrastructure.

3 Prior to working at Sierra Club, I worked at  
4 Key-Log Economics as a co-owner and policy analyst.  
5 There I provided ecologic and economic analysis on gas  
6 pipeline development impacts for submission to the  
7 Federal Energy Regulatory Commission. I have a master's  
8 degree in public policy and leadership from the  
9 University of Virginia.

10 Q. And, Ms. Fogler, have you ever testified before  
11 this Committee before?

12 A. (MS. FOGLER) Yes, I have. I provided testimony  
13 in the Siting Committee proceedings for the expansion of  
14 SRP's gas-fired Coolidge Generating Station.

15 Q. Have you ever testified before other bodies?

16 A. (MS. FOGLER) Yes, I have. I've testified in  
17 Maricopa County Superior Court regarding the Coolidge  
18 Expansion Project, and I've also provided testimony in  
19 California Public Utility Commission dockets.

20 Q. Ms. Fogler, are you generally familiar with gas  
21 power plants, then, based on your work?

22 A. (MS. FOGLER) Yes. Through my work at Sierra  
23 Club, I'm deeply involved in issues related to gas power  
24 plants. I track the characteristics of all plant new gas  
25 capacity proposals in the U.S., including the technology

1 types. I also evaluate the existing gas power plant  
2 fleet to understand the breakdown of generator types and  
3 their services.

4 Q. And what is the purpose of your testimony here  
5 today?

6 A. (MS. FOGLER) In this testimony, I will discuss  
7 factual evidence pertaining to UNS's application for  
8 disclaimer of jurisdiction from the proposed expansion of  
9 Black Mountain Generating Station. My testimony reviews  
10 the physical configuration of the BMGS proposal, examples  
11 of similar situations at other plants, and how federal  
12 agencies classify generating facilities like BMGS.

13 MEMBER KRYDER: Mr. Chairman?

14 CHMN STAFFORD: Yes, Member Kryder.

15 MEMBER KRYDER: It may be my hearing aids  
16 but I'm having a great deal of difficulty hearing the  
17 witness, because her voice is garbled when it comes to  
18 me. I don't know if anyone else has a problem, but if  
19 she can do something to adjust that. The gentleman I can  
20 hear him quite distinctly, but I cannot -- I can get  
21 about one word out of three from the young lady.

22 Thank you, Mr. Chairman.

23 CHMN STAFFORD: Are you able to adjust your  
24 audio settings, Ms. Fogler?

25 MS. FOGLER: I can try talking more loudly.

1 Is that better, Commission Member?

2 MEMBER KRYDER: That is --

3 CHMN STAFFORD: Member Kryder?

4 MEMBER KRYDER: Yes.

5 CHMN STAFFORD: That sounds better to me.

6 MS. FOGLER: I will make sure I speak

7 louder. Thank you for letting me know.

8 CHMN STAFFORD: Thank you.

9 BY MR. WOOLSEY:

10 Q. So, Ms. Fogler, what are your main conclusions  
11 in your testimony today?

12 A. (MS. FOGLER) I conclude that the four proposed  
13 new BMGS units are physically interconnected and would  
14 rely extensively on shared equipment and facilities. I  
15 conclude that the proposed units are not physically  
16 separate, but rather, make up a single integrated  
17 generating facility.

18 Q. And, Ms. Fogler, were you able to listen to the  
19 testimony of the Company witnesses yesterday and this  
20 morning?

21 A. (MS. FOGLER) Yes.

22 Q. Have you reviewed the Company's application for  
23 a disclaimer of jurisdiction for the proposed Black  
24 Mountain expansion, as well as the documents provided by  
25 the Company showing the planned configuration of the

1 proposed new units and the other elements of the plant?

2 A. (MS. FOGLER) Yes.

3 Q. So you've reviewed the site plan of the proposed  
4 Black Mountain units in Exhibit SC-3 and the list of  
5 shared equipment and facilities proposed for the project  
6 in Exhibit SC-2 and Exhibit UNSE-11, correct?

7 A. (MS. FOGLER) Correct.

8 Q. So based on your review of those site plans and  
9 equipment lists, you understand that the new generating  
10 turbines at Black Mountain would rely on 16 items of  
11 shared equipment and facilities, correct?

12 A. (MS. FOGLER) Yes. The four new turbines would  
13 share 16 items of equipment and facilities critical to  
14 operation, including 12 items shared among all four of  
15 the turbines, and four items shared among two turbines  
16 each.

17 Q. And what are those items of shared equipment  
18 that the Company identified?

19 A. (MS. FOGLER) The 12 items shared among all four  
20 turbines are the ammonia tank, the air cooler skid, the  
21 fuel gas coalescing skid, the station service  
22 transformer, the storage building, the raw water tank,  
23 the RO building, or reverse osmosis, the demineralized  
24 water tank, the air compressor, the raw water forwarding  
25 pump, the evaporation pond, and the well. And that's all

1 the language that was used specifically in the exhibit.  
2 The four items that were shared among two turbines are  
3 the LM6000 power control module, the chiller and cooling  
4 tower, the generator step-up transformer, and the power  
5 distribution center. I understand that the plant would  
6 have one generation tie line to serve the entire  
7 expansion project and one main gas pipeline to supply all  
8 of the turbines.

9 Q. And, Ms. Fogler, in your opinion, based on your  
10 review of the documents by the Company and what you heard  
11 of the Company witnesses' testimony, would most of those  
12 items of shared equipment be physically connected to two  
13 or more of the units?

14 A. (MS. FOGLER) Yes, that is my understanding.

15 Q. And given the shared equipment and connections  
16 that you've just described, would you characterize the  
17 four proposed new units at Black Mountain as physically  
18 separate?

19 A. (MS. FOGLER) No, I would not. In my opinion,  
20 the extensive shared equipment and facilities  
21 demonstrates that the four proposed new units would be  
22 interconnected and would effectively form a single  
23 integrated generating facility.

24 Q. So, Ms. Fogler, changing topics, you mentioned  
25 that you testified in the Siting Committee proceeding for

1 SRP's gas-fired Coolidge Expansion Project, correct?

2 A. (MS. FOGLER) Yes.

3 Q. And do you recall how many gas units the  
4 Commission ultimately approved for the Coolidge Expansion  
5 Project and roughly what their capacities were?

6 A. (MS. FOGLER) Yes, I believe the Commission  
7 ultimately approved 12 units each with a nameplate  
8 capacity of about 51 megawatts.

9 Q. So similar to Black Mountain, the Coolidge  
10 Expansion Project included multiple gas units that have  
11 individual nameplate capacities of less than a  
12 100 megawatts, but collectively those units had a total  
13 generating capacity over 100 megawatts, correct?

14 A. (MS. FOGLER) Yes, that's correct.

15 Q. And SRP applied for a CEC for the Coolidge  
16 Expansion Project and the Commission ultimately issued a  
17 CEC for that project, correct?

18 A. (MS. FOGLER) Yes, the Commission issued a CEC  
19 for the Coolidge Expansion Project, that Decision was  
20 79020.

21 MR. WOOLSEY: So, Mr. Chairman, Sierra Club  
22 provided an exhibit which included an excerpt of that  
23 Decision which has already been admitted into the record.  
24 But we'd like to move for the Committee to take official  
25 notice of Decision 79020 in full under Arizona

1 Administrative Code R14-31-09.

2 CHMN STAFFORD: We take administrative  
3 notice.

4 MR. WOOLSEY: Thank you.

5 Q. Ms. Fogler, aside from the Coolidge Expansion  
6 Project, are you aware of other examples where an Arizona  
7 utility has obtained a CEC for a project with multiple  
8 gas units that have individual nameplate capacities of  
9 less than 100 megawatts?

10 A. (MS. FOGLER) Yes, and some of these have been  
11 discussed earlier, but briefly covering these, to my  
12 knowledge, the Commission has issued CECs for the  
13 original Coolidge Generating Station, which was also 12  
14 generating turbines that were 48 megawatts each, so  
15 575 megawatts total. APS's Sundance Expansion Project,  
16 which was two generating units, each with a nameplate  
17 capacity of 45 megawatts, for 90 megawatts combined.  
18 And, of special note there, APS did apply for that CEC,  
19 even though the total capacity was under 100 megawatts.  
20 And there was also the original Sundance Generating  
21 Station, which was 10, 45-megawatt gas turbines for  
22 450 megawatts of total capacity, and then TEP's Sundt  
23 Irvington RICE units, which we heard about yesterday and  
24 briefly again this morning.

25 And, lastly, I'll name Northern Arizona Energy's



1 2007 Northern Arizona Energy Project at the Griffith  
2 Plant, which included four gas turbines with nameplate  
3 ratings of about 45 megawatts each, with total capacity  
4 of 175 megawatts.

5 Q. And, Ms. -- Ms. Fogler, there's five Commission  
6 CEC Decisions that you just referenced, those are  
7 Decision Numbers 70636 for Coolidge; 79189 for Sundance;  
8 63863 for the other Sundance project you mentioned; 76638  
9 for the Sundt RICE units; and 70108 for the Northern  
10 Arizona Energy Project at Griffith, correct?

11 A. (MS. FOGLER) Correct.

12 MR. WOOLSEY: And, Mr. Chairman, similarly,  
13 we provided excerpts of those Decisions as exhibits that  
14 have been admitted, but we would -- we would similarly  
15 ask that the Committee take administrative notice of  
16 those Commission -- those five Commission Decisions in  
17 full.

18 CHMN STAFFORD: Yes, the Committee will  
19 take official or administrative notice of those five  
20 Commission Decisions that you mentioned.

21 MR. WOOLSEY: Thank you.

22 Q. So changing topics here, Ms. Fogler, are you  
23 familiar with the power plant data that utilities report  
24 to the U.S. Energy Information Administration and how the  
25 EIA classifies power plants?

1 A. (MS. FOGLER) Yes, I am.

2 Q. And have you reviewed the annual -- the form  
3 EIA-860s that UNS has filed with the EIA regarding the  
4 Black Mountain Generating Station, which were provided in  
5 Sierra Club Exhibits SC-9 and SC-10?

6 A. (MS. FOGLER) Yes, I have. I've reviewed Form  
7 EIA-860s that UNS filed with the EIA between 2018 and  
8 2023 for BMGS.

9 Q. And in your understanding, under what  
10 circumstances must utilities submit a Form EIA-860 to the  
11 agency?

12 A. (MS. FOGLER) My understanding is that utilities  
13 must submit a Form EIA-860 for each of their electric  
14 power plants with one megawatt or greater of combined  
15 nameplate capacity.

16 Q. And would you explain how the U.S. EIA defines a  
17 power plant?

18 A. (MS. FOGLER) Yes. The EIA defines an electric  
19 power plant as a station containing prime movers,  
20 electric generators and auxiliary equipment for  
21 converting mechanical, chemical, and/or fission energy  
22 into electric energy.

23 Q. Based on the Company's testimony and discovery  
24 responses, is it your understanding that UNS plans to  
25 report all four of the proposed new generating turbines

1 at Black Mountain on one Form EIA-860?

2 A. (MS. FOGLER) Yes. UNS stated in its response to  
3 a discovery request that it plans to submit information  
4 for all four of the proposed new generating turbines on a  
5 single EIA-860 form.

6 Q. And you've reviewed the EIA's instructions for  
7 completing the Form EIA-860, which are provided for in  
8 Sierra Club Exhibit SC-14, correct?

9 A. (MS. FOGLER) Yes.

10 Q. Would you please turn to page 5 in -- in that  
11 exhibit, Sierra Club Exhibit SC-14, in those EIA  
12 instructions and read the first two sentences under  
13 "Schedule 2, power plant data"?

14 A. (MS. FOGLER) Yes, that reads, "Complete one  
15 section for each power plant. A plant can consist of a  
16 single generator or of multiple generators on a single  
17 location."

18 Q. So, Ms. Fogler, if UNS plans to report all of  
19 the new generators at BMGS on a single EIA-860 form using  
20 a single plant code, does that mean the Black Mountain  
21 expansion will be reported to the EIA as a single power  
22 plant, as the EIA uses that term?

23 A. (MS. FOGLER) Yes, it does. In the EIA-860 forms  
24 that UNS has historically submitted for BMGS, the two  
25 existing units have been given the same single plant

1 code, that's 56482 for their EIA plant code. If UNS does  
2 plan to report all of the new BMGS generators on a single  
3 form and if UNS plans to use a single plant code to  
4 report all Black Mountain units as it has done in the  
5 past, that means UNS will continue to report all Black  
6 Mountain units as a single plant.

7 Q. Ms. Fogler, are you aware of examples where  
8 power plant projects with multiple generating unit  
9 turbines similar to the proposed Black Mountain addition  
10 or expansion have been reported as separate plants to EIA  
11 instead of as a single plant?

12 A. (MS. FOGLER) So to look at that, I looked at the  
13 most recent EIA-860 full annual data, so this is data on  
14 all of the units in the U.S., the latest full available  
15 data is available for 2022. I looked specifically at all  
16 operable gas turbines that were not part of a combined  
17 cycle setup that burn natural gas as the primary fuel  
18 type. So that subset, that's the same type of subset as  
19 this specific proposal. That subset of the 2022 data for  
20 operable gas turbines is shown in the document marked as  
21 Sierra Club Exhibit SC-32.

22 I reviewed the plant codes which show if  
23 generators are labeled as their own plant or as part of  
24 the same plant. I did this for all of the generators in  
25 the subset that were in the same location, and I defined

1 the same location as sharing a latitude and longitude. I  
2 have not found any cases where the same owner owns  
3 multiple gas-burning gas turbines at the same location  
4 and reports those to EIA as separate plants. There is,  
5 in fact, only one example in the entire country where  
6 generators in this subset at the same location were  
7 labeled as different plants, and that was a case in  
8 Georgia, where the generators at the same location had  
9 different owners, which would create a clear reason for  
10 those to be described as separate plants.

11 Q. Ms. Fogler, are there examples of multi-turbine  
12 power plant projects similar to the proposed Black  
13 Mountain expansion that are reported as the same plant to  
14 the EIA?

15 A. (Ms FOGLER) There are many. So in all other  
16 cases, in the 2022 EIA data set that I reviewed, all  
17 operable gas turbines in the country that were not part  
18 of a combined cycle setup that burn natural gas as the  
19 primary fuel type at the same location like this  
20 proposal, were reported to EIA as a single plant.

21 One example of this is SRP's Coolidge Generating  
22 Station, which we've talked a bit about earlier. This  
23 plant is reported as 12 turbines, but together all 12 of  
24 those are categorized in EIA as a single plant. Similar  
25 to the BMGS proposal, each of those units are under

1 100 megawatts. Another example that we discussed earlier  
2 are the two existing units at the BMGS site, which are  
3 reported as a single plant to EIA. There are 12 other  
4 gas-fired plants in Arizona that have multiple turbines  
5 at the same location, which are all reported as a single  
6 plant in EIA-860 forms.

7 Q. So, Ms. Fogler, based on your work reviewing new  
8 gas plant proposals around the country, would you say  
9 that most new gas-fired power plants being built today  
10 are peaker plants?

11 A. (MS. FOGLER) Yes, most of the new gas plants  
12 that are currently proposed are peakers.

13 Q. And, Ms. Fogler, does this conclude your direct  
14 testimony?

15 A. (MS. FOGLER) Yes. Thank you.

16 MR. WOOLSEY: Thank you, Mr. Chairman.  
17 Those are all my questions for Ms. Fogler at the moment,  
18 and I would turn it over to WRA for the other part of the  
19 panel.

20 CHMN STAFFORD: Ms. Doerfler, do you have  
21 questions for Dr. Routhier?

22 MS. DOERFLER: I do. Thank you. Can  
23 everyone hear me okay or do I need to sit closer?

24 CHMN STAFFORD: You need to get closer to  
25 the microphone.

1 MS. DOERFLER: Okay. That's what I  
2 thought. We stole the mic from over there, so getting  
3 situated.

4

5 ALEXANDER ROUTHIER, Ph.D.,  
6 having been previously affirmed or sworn by the Chairman  
7 to speak the truth and nothing but the truth, were  
8 examined and testified as follows:

9

10 DIRECT EXAMINATION

11 BY MS. DOERFLER:

12 Q. Could you state your full name and business  
13 address for the record, Dr. Routhier?

14 A. (DR. ROUTHIER) Sure. And is the Committee able  
15 to hear me as well?

16 CHMN STAFFORD: I think you both need to  
17 get a little closer to the microphone.

18 DR. ROUTHIER: Okay. My name is Alexander  
19 Francis Routhier. I work at Western Resource Advocates,  
20 at 1429 North First Street, Suite 100, Phoenix, Arizona  
21 85004.

22 BY MS. DOERFLER:

23 Q. And what is your title at WRA?

24 A. (DR. ROUTHIER) I am the Arizona Clean Energy  
25 manager and senior policy advisor.

1 Q. What is your professional and educational  
2 background?

3 A. (DR. ROUTHIER) I have a master's and Ph.D., both  
4 from Arizona State University, in electrical engineering,  
5 both focused in electric power systems. I've worked at  
6 WRA for about three years, where I interact with the  
7 utilities here in Arizona, mostly on planning and  
8 procurement, also have appeared at the Arizona  
9 Corporation Commission.

10 Before I was at WRA, during my time in grad  
11 school, I worked at Salt River Project as an  
12 advanced-degree intern, and during my time there, in  
13 2019, when Salt River Project purchased the Coolidge  
14 Generating Station, I was the point person tasked with  
15 ensuring that the modeling data for Coolidge that was  
16 received from the existing owner, TransCanada, was  
17 validated properly. And when we found inconsistencies in  
18 their modeling data, worked with WECC, TransCanada, and  
19 Salt River Project, to make sure those inconsistencies  
20 were resolved.

21 Q. Which model of turbine does Coolidge Generating  
22 Station use?

23 A. (DR. ROUTHIER) It is a LM6000 turbine. A GE  
24 LM6000 turbine.

25 Q. Is that the same turbine that's in question



1 here?

2 A. (DR. ROUTHIER) Yes.

3 Q. Have you ever testified before this Committee?

4 A. (DR. ROUTHIER) I have. As Ms. Fogler said, I  
5 also had testified in the Coolidge Generating Station  
6 expansion, and also for the SunZia Line Siting hearing as  
7 well.

8 Q. How does your professional and educational  
9 background give you insight in this proceeding?

10 A. (DR. ROUTHIER) So my background and experience,  
11 education in engineering, gives me specific knowledge  
12 into technical details about building operation,  
13 utilization of these gas power plants, as well as  
14 specific understanding of technical language associated  
15 with -- with this process.

16 Q. What is the purpose of your testimony?

17 A. (DR. ROUTHIER) The purpose of my testimony is to  
18 talk about, as I just mentioned, some of that specific  
19 technical language that I think we are -- we are using  
20 common terms that we understand colloquially, but may not  
21 be using in a technically correct way. And so I want to  
22 make sure that we are using correct terms for correct  
23 things. And also talk about how -- the  
24 interconnectedness of these turbines -- or of these  
25 units.

1 Q. What conclusions have you reached in your study  
2 of this case?

3 A. (DR. ROUTHIER) It seems that through the  
4 testimony that's been given, the words "unit" and  
5 "generating unit" are being used interchangeably, and  
6 those things do not have the same meaning. And so the  
7 statute has the word "generating unit" in there, so  
8 making sure that we are using the correct term for  
9 generating unit. Also, these units are significantly  
10 connected and, yeah, I think that's it.

11 Q. Dr. Routhier -- I'll give you a chance to drink.  
12 I don't want to rush.

13 Dr. Routhier, have you reviewed UNSE's  
14 application or any alternative disclaimer of  
15 jurisdiction?

16 A. (DR. ROUTHIER) I have.

17 Q. Were you in attendance at the hearing yesterday  
18 and able to hear the statements made by UNSE and its  
19 attorneys?

20 A. (DR. ROUTHIER) I was, yes.

21 Q. And do you feel equipped to answer questions  
22 about the design and utilization of the proposed  
23 generation equipment at Black Mountain Generating  
24 Station?

25 A. (DR. ROUTHIER) I do.

1 Q. ARS 40-360.09 says, "A plant is defined as each  
2 separate thermal, nuclear, or hydroelectric generating  
3 unit with a nameplate rating of 100 megawatts." I know  
4 we've all heard this multiple times, I appreciate you  
5 hanging in there with me. So do you agree that under  
6 this definition, UNSE is proposing to build four  
7 different plants at Black Mountain Generating Station?

8 A. (DR. ROUTHIER) I do not.

9 Q. Why don't you agree with UNSE's assertion here?

10 A. (DR. ROUTHIER) I agree that they are planning to  
11 build four new units, but they are planning to build one  
12 generating unit. And that one generating unit is  
13 interconnected and the -- and the way that the statute is  
14 worded seems that one unit that's more than 100  
15 megawatts, this generating unit would be a 200-megawatt  
16 generating unit.

17 Q. Dr. Routhier, let's break this down a little bit  
18 to get a better understanding of how you've reached your  
19 conclusion. A term of art is a reference to terminology  
20 with a meaning that is specific to a particular  
21 profession, art, science, technology, or other field.

22 Do you agree that the term "generating unit" is  
23 a term specifically relevant to the field of engineering?

24 A. (DR. ROUTHIER) Yes.

25 Q. So the dictionary definition of the term "unit,"

1 say, would not be the same as the term "generating unit"  
2 used in the context of electrical engineering?

3 A. (DR. ROUTHIER) Correct.

4 Q. Dr. Routhier, can I direct your attention and  
5 the Committee's attention to WRA-1? Can you briefly  
6 describe what WRA-1 is?

7 A. (DR. ROUTHIER) WRA Exhibit 1 is an IEEE  
8 Standard. It's the definitions for use and reporting  
9 electric generating unit reliability, availability, and  
10 productivity.

11 Q. And can you describe the purpose of the -- of  
12 the IEEE Standard definitions for use?

13 A. (DR. ROUTHIER) Sure.

14 So IEEE, the Institute for Electronics and  
15 Electrical Engineers, designs these standards through a  
16 working group process in order to provide common language  
17 and common understanding throughout the industry on a  
18 variety of topics.

19 Q. What is the Institute of Electrical and  
20 Electronic Engineers? And feel free to use the word  
21 "IEEE," because it is quite a mouthful to get out.

22 A. (DR. ROUTHIER) Sure. IEEE is the largest  
23 technical and professional organization in the world.  
24 They're made up of engineers, primarily of engineers, who  
25 work in a variety of different spaces. Electrical

1 engineering is a pretty expansive profession, but they  
2 maintain a robust collection of peer-reviewed journals,  
3 they put on annual conferences for a variety of  
4 topic-specific items. And one of the big things they do  
5 is they create these standards.

6 Q. Dr. Routhier --

7 A. (DR. ROUTHIER) I should -- sorry, I'll just  
8 clarify. They create and also maintain the standards.  
9 They're updated periodically.

10 Q. Dr. Routhier, can I direct you and the Committee  
11 to turn to the passage on page 19 that defines what a  
12 unit is, I believe it is 3.23.

13 MEMBER HILL: Can you just give us a second  
14 to get there?

15 MS. DOERFLER: Absolutely.

16 Q. Can you -- how is this definition of unit here  
17 relevant to this case?

18 A. (DR. ROUTHIER) So this is the definition of  
19 unit. And I think the words that we have been using so  
20 far we -- throughout what's been happening through the  
21 testimony yesterday we've been talking about "unit" and  
22 "generating unit" and I think both of those terms that  
23 are being used are specifically describing a unit, which  
24 you can read here.

25 Q. Alex, could you read the relevant passage,

1 please.

2 A. (DR. ROUTHIER) Sure.

3 "One or more generators, collectors, or other  
4 devices converting another form of energy to electrical  
5 energy, including but not limited to, any thermodynamic  
6 devices, such as boilers, reactors, reciprocating  
7 engines, or turbines performing an intermediate  
8 conversion to mechanical energy." And it goes on to say,  
9 "A unit is the lowest reportable entity for reliability  
10 indexes."

11 Q. In your professional and expert opinion, would  
12 you describe a plant as the lowest reportable entity for  
13 reliability indexes?

14 A. (DR. ROUTHIER) I would not.

15 Q. So the definition for "unit" and the definition  
16 for "plant" located in ARS 40-360.09 seem to be  
17 incongruent with one another?

18 A. (DR. ROUTHIER) I would agree. They are  
19 different things.

20 Q. On the next page, page 20, there is a list of  
21 examples, do any of these examples seem to fit the four  
22 units at Black Mountain Generating Station?

23 A. (DR. ROUTHIER) Yes, if you look at letter E it  
24 says a generator and combustion turbine.

25 MS. DOERFLER: Can I next direct you all to

1 page 13? So we're taking a slight step backwards. And  
2 we are looking at the first --

3 MS. HILL: I'm sorry.

4 MS. DOERFLER: Go ahead.

5 MS. HILL: Could you state the page number  
6 again?

7 MS. DOERFLER: Yes, page 13.

8 MS. HILL: Thank you.

9 MS. DOERFLER: And we are looking at the  
10 first paragraph here. Exhibit 1, WRA Exhibit 1.

11 DR. ROUTHIER: We just have one exhibit.

12 MS. DOERFLER: Yeah, it seems like it's  
13 more than one, but it is one large -- very large  
14 document.

15 Q. Can you please describe for me what this  
16 Committee should understand from the definition of the  
17 term "generating unit" here?

18 A. (DR. ROUTHIER) Sure. And I think this is where  
19 the difference is between "unit" and "generating unit,"  
20 and in the first sentence here you'll notice that it  
21 specifically indicates that it includes the resource  
22 supply system up to the high-voltage terminals of the  
23 generator step-up transformer and the station service  
24 transformers.

25 Q. So how is a generating unit different from a

1 unit?

2 A. (DR. ROUTHIER) So a unit is, as I said before,  
3 just a combustion turbine and a generator, and here it's  
4 saying that a generating unit includes the station  
5 service transformers, the -- the fuel supply, as well as  
6 the generator step-up transformers and the equipment in  
7 between.

8 MS. DOERFLER: And one last foray for us  
9 all. Can we please turn to page 106. That's 106.

10 Q. The sentence that starts with "Historically  
11 individual unit performance," Alex, could you -- or,  
12 Dr. Routhier, could you read the sentence for the  
13 Committee?

14 A. (DR. ROUTHIER) Sure.

15 "Historically, individual unit performance  
16 indexes have been used to assess electric generating unit  
17 reliability, availability, and productivity."

18 Q. And how do the definitions of "unit" and  
19 "generating unit," how are those differences eliminated  
20 here?

21 A. (DR. ROUTHIER) I mean, if -- we have been using  
22 those terms interchangeably through this process, but I  
23 think if you're using those interchangeably here and you  
24 try and substitute just "unit" for "electric generating  
25 unit," this sentence doesn't make any sense. So it's



1 clear that there is a distinction between "unit" and  
2 "generating unit."

3 Q. So if Black Mountain Generating Station has four  
4 units, how many generating units does it have?

5 A. (DR. ROUTHIER) It has one generating unit.

6 Q. Is the term "generating unit" used in ARS  
7 40-360.09?

8 A. (DR. ROUTHIER) Yes.

9 Q. Is the term "unit" used in 40-360.09 by itself?

10 A. (DR. ROUTHIER) Not without the word "generating"  
11 in front of it.

12 Q. So the definition of "generating unit" -- so  
13 using the definition of "generating unit," how would you  
14 describe a plant in Arizona?

15 A. (DR. ROUTHIER) A plant is a -- a thermal  
16 electric device capable of providing 100 megawatts or  
17 more, that includes everything from the supply system for  
18 fuel up to and including the high-voltage terminal of the  
19 generation -- of the step-up generator, as well as the  
20 auxiliary transformers in the -- and the equipment in  
21 between. Sorry, I think I just misspoke there. I think  
22 I said the high terminal of the step-up generator, I  
23 meant step-up transformer, I apologize.

24 Q. Dr. Routhier, UNSE cites an Administrative Code  
25 to define the term "generating unit." That definition

1 states that a generating unit is a specific device or set  
2 of devices that converts one form of energy, such as heat  
3 or solar energy, into electric energy, such as a turbine  
4 and generator or set of photovoltaic cells.

5 Are you familiar with Article 7 of the  
6 Administrative Code from which that definition is pulled?

7 A. (DR. ROUTHIER) Yes.

8 Q. Is there any part of Article 7 that discusses or  
9 even mentions the Line Siting Committee, ARS 40-360, or  
10 Certificates of Environmental Compatibility?

11 A. (DR. ROUTHIER) Not that I'm aware of.

12 Q. Does the definition of -- I didn't think I had  
13 pressed that, I guess I did. Apologies, hang on one  
14 second. Doing all sorts of things.

15 Does the statute's definition specify that a set  
16 of devices can only mean a generator and a turbine?

17 A. (DR. ROUTHIER) Not to my knowledge.

18 Q. Does the definition located in the Arizona  
19 Administrative Codes contradict the definition in the  
20 IEEE standards?

21 A. (DR. ROUTHIER) I don't believe so. I think they  
22 can exist together.

23 Q. But the IEEE standard -- or the IEEE standard  
24 could provide clarity in what the administrative code may  
25 represent or mean?

1           A.     (DR. ROUTHIER) Yeah, I think it's a more  
2 complete definition.

3                   MEMBER GOLD: Mr. Chairman?

4                   CHMN STAFFORD: Yes, Member Gold.

5                   MEMBER GOLD: Now I'm confused.

6                   MEMBER KRYDER: Use your microphone.

7                   CHMN STAFFORD: Microphone, Member Gold.

8                   MEMBER GOLD: Now I'm confused. I'm  
9 reading 40-360.09 and it says, "Plant," and I'll go  
10 specific, "means generating unit with a nameplate  
11 rating." Generating units don't appear to have a  
12 nameplate rating, generators do.

13                   MS. DOERFLER: If you would allow us to  
14 continue our question, I promise that we do actually  
15 address that point.

16                   MEMBER GOLD: Thank you.

17                   MS. DOERFLER: But I completely agree that  
18 it's very confusing, so I completely understand.

19                   CHMN STAFFORD: Member Fontes, do you have  
20 a question?

21                   MEMBER FONTES: I do. And as you get to  
22 it, I don't mean to interrupt, can you educate and inform  
23 if there's any power plants that you know constructed,  
24 natural gas, that do not follow IEEE standards that are  
25 operating in WECC under NERC standards?

1 DR. ROUTHIER: I don't know of any. I  
2 think, insurance-wise, it would be a huge risk to operate  
3 outside of an IEEE Standard.

4 MEMBER FONTES: Thank you.

5 CHMN STAFFORD: Please proceed,  
6 Ms. Doerfler.

7 MS. DOERFLER: Thank you.

8 Q. Would you say the term "separate" is a term of  
9 art that has a specific meaning within the profession of  
10 electrical engineering?

11 A. (DR. ROUTHIER) No, I don't think so.

12 Q. Would you agree with the dictionary definition  
13 from Black's Law Dictionary, which provides that the term  
14 "separate" means individual, distinct, particular, or  
15 disconnected?

16 A. (DR. ROUTHIER) Yeah, I would agree with that.

17 Q. Would you describe the four new units, not  
18 generating unit, remember, units at Black Mountain as  
19 separate or otherwise individual, distinct, particular,  
20 or disconnected?

21 A. (DR. ROUTHIER) I would not. And I would say  
22 that if you look at, I believe it was Sierra Club's  
23 Exhibits 2 and 3, I believe Exhibit 3 is the schematic  
24 that was provided by UNSE of the plant, and you can see  
25 between the supply and the high-voltage terminal of the

1 step-up transformer there is quite a bit of shared  
2 equipment that we've talked about extensively. And one  
3 additional thing that I don't think we have mentioned,  
4 because it's not actually in the list, I don't think,  
5 on -- in Exhibit 2 is the cabling that is attaching the  
6 different units together within the generating unit. I  
7 would refer to that cabling as a bus, generally, and but  
8 that is a shared bus that then connects up to the two  
9 step-up transformers.

10 Q. So would you describe the generating unit at  
11 Black Mountain as separate from itself?

12 A. (DR. ROUTHIER) I don't think that's possible,  
13 no.

14 Q. Dr. Routhier, the definition of "nameplate  
15 rating" adopted by all parties in this case is, "The  
16 maximum rated output of a generator or other electric  
17 power production equipment under specific conditions  
18 designated by the manufacturer"; is that correct?

19 A. (DR. ROUTHIER) That is correct, yes.

20 Q. And in your expert professional opinion, what is  
21 an installed generator nameplate capacity?

22 A. (DR. ROUTHIER) I think it's what we have been  
23 talking about so far through this process, it's the --  
24 the -- the plate that is physically attached to the  
25 generator and gives the maximum capabilities of the

1 generator. I think in the -- in the images that we've  
2 seen, they -- it is provided in kilovolt amperes or  
3 kVA and then it's been converted into megawatts.

4 Q. Can a piece of equipment or set of equipment  
5 have a nameplate rating even without a plaque stating its  
6 rating?

7 A. (DR. ROUTHIER) Yes.

8 Q. Can any other -- do any other kinds of equipment  
9 have generator nameplate ratings, otherwise known as  
10 "plaques," that are stamped upon them, beyond just the  
11 generator?

12 A. (DR. ROUTHIER) Sure. The way -- the way it's  
13 worded in the stipulation is that I believe, yes, that  
14 it -- yes, they can.

15 Q. Is a generator nameplate rating different than a  
16 generating unit nameplate rating?

17 A. (DR. ROUTHIER) Yes, with the generator nameplate  
18 capacity we're talking about one single piece of  
19 equipment, but if we're talking about the generating unit  
20 nameplate rating, we need to look at multiple pieces of  
21 equipment, to see what the nameplate rating is of the  
22 entire collection of devices that we're talking about.

23 Q. Can you explain further how that all works?

24 A. (DR. ROUTHIER) Sure.

25 So in this case, we have four units, and each

1 unit has a generator nameplate capacity of approximately  
2 50 megawatts. But because there are four of them and  
3 they can all be operating at the same time, I would say  
4 the nameplate capacity for the plant would be  
5 200 megawatts. If all four of those were operating  
6 simultaneously, the plant could output 200 megawatts.

7 Q. Is the nameplate rating of the proposed  
8 generating unit at Black Mountain Generating Station over  
9 100 megawatts?

10 A. (DR. ROUTHIER) Yes.

11 MS. DOERFLER: That concludes my questions.

12 CHMN STAFFORD: I have a quick question.  
13 We've talked about the EIA reporting and they consider  
14 the nameplate capacity. What is it called -- and all  
15 those nameplates, it's the cumulative capacity of both  
16 the units there, the current ones, correct?

17 DR. ROUTHIER: I'm not as familiar with the  
18 EIA data, maybe Ms. Fogler could answer that question.

19 CHMN STAFFORD: Yes, Ms. Fogler --

20 MS. FOGLER: Yeah, I'm happy --

21 CHMN STAFFORD: What was -- what is it  
22 called -- they are tracking the -- the name -- it has a  
23 nameplate rating, but what do they refer to it as?

24 MS. FOGLER: They call it, in EIA-860, they  
25 call it "nameplate capacity." They also use the term

1 "nameplate capacity" when they're aggregating. So  
2 they'll aggregate at the plant level and say the  
3 nameplate capacity of these units at this plant. Here's  
4 now the nameplate capacity at the plant. They also  
5 actually aggregate much higher than that. They'll say,  
6 here's the nameplate capacity of all gas generation in  
7 the U.S. Here's the nameplate capacity of all combined  
8 cycles, so it is very common to add up the nameplate  
9 capacities of various units to a larger plant or even  
10 larger unit. And that is still called the nameplate  
11 capacity.

12 CHMN STAFFORD: Okay. So the EIA adds up  
13 the generator nameplates to come one up with the plant  
14 nameplate; is that correct?

15 MS. FOGLER: That is correct.

16 CHMN STAFFORD: Okay. All right. Thank  
17 you.

18 Now, do you have any questions from members  
19 or are the witnesses available for cross-examination?

20 MS. DOERFLER: If there are no questions  
21 from the Committee, we are open for cross-examination.

22 CHMN STAFFORD: All right. Ms. Grabel?

23 MR. WOOLSEY: And, likewise, for Sierra  
24 Club.

25 CHMN STAFFORD: Thank you.



1 MS. GRABEL: Thank you, Mr. Chairman.  
2 Because we didn't have the benefit of pre-filed  
3 PowerPoint presentations, we wondered if we could maybe  
4 take a short lunch break so we could kind of get our  
5 thoughts together before doing cross-examination?

6 CHMN STAFFORD: Okay. All right. So -- so  
7 we'll have -- what the rest of this proceeding will look  
8 like is we have cross-examination first by the applicant  
9 and then do ArISEIA, SWEEP, or Staff wish to  
10 cross-examine these -- this panel of witnesses?

11 MS. JOHNSON: ArISEIA will have a small  
12 number of questions. That number may increase, depending  
13 on the Company's amount of questions.

14 CHMN STAFFORD: And about how much -- how  
15 long of a cross-examination do you anticipate,  
16 Ms. Grabel?

17 MS. GRABEL: Well, it was pretty short  
18 before we heard what they just said, so I would say maybe  
19 30 minutes, something like that.

20 CHMN STAFFORD: And do SWEEP and Staff have  
21 cross-examination questions for this panel?

22 MS. REYES: SWEEP does not anticipate any  
23 questions.

24 MS. EGAN: Staff probably has about 10 to  
25 15.

1 CHMN STAFFORD: Okay. All right. Well, we  
2 are -- we've been going for approximately 90 minutes.  
3 It's time for the court reporter to get her break. I  
4 think we are ready for lunch. Let's take a recess until  
5 1:30 and come back.

6 At that point we'll have the  
7 cross-examination of this panel by the applicant, and  
8 then followed by ArISEIA and Staff. At the conclusion of  
9 the cross-examination it will be -- the parties need to  
10 be ready to make their closings, oral arguments,  
11 addressing legal issues, and how the facts -- the facts  
12 that we've established how the law applies to the facts  
13 presented and the interpretation of the statute  
14 definition of the plant.

15 With that -- oh, anything further before we  
16 go into recess?

17 (No response.)

18 CHMN STAFFORD: Hearing nothing, we stand  
19 in recess. We'll be back at 1:30.

20 (Recessed from 12:28 p.m. until 1:33 p.m.)

21 CHMN STAFFORD: Let's go back on the  
22 record. We are about to start with the applicant's  
23 cross-examination of the Sierra Club and WRA panel.

24 Please proceed, Ms. Grabel.

25 MS. GRABEL: Thank you, Mr. Chairman.

1 Actually, Ms. Hill and I are going to tag-team this, and  
2 so Ms. Hill will first cross-examine the Sierra Club  
3 witness.

4 MS. HILL: Thank you, Mr. Chairman,  
5 Committee Members and so I'm going to apologize, because  
6 due to the unexpected nature of it going into a second  
7 day, I did not have a second set of contacts, so I'm  
8 wearing -- switching glasses on and off, so I can't  
9 actually see anything except for when it's right in front  
10 of me. And if I put my other glasses on, I wouldn't be  
11 able to see that. So forgive me if I appear to be  
12 looking dazed.

13

14 C R O S S - E X A M I N A T I O N

15 BY MS. HILL:

16 Q. And so I'm just going to direct my questions  
17 briefly to you, Ms. -- is it "Fogler," is that how you  
18 pronounce your last name?

19 A. (MS. FOGLER) Yes, that's correct.

20 Q. Okay. Thank you.

21 And so I'm going to ask you, could you, please,  
22 do you have Sierra Club Exhibit 10 in front of you or  
23 access to it?

24 A. (MS. FOGLER) Yup, I have it up.

25 Q. Okay. And also, could you -- do you have access

1 to UNSE Exhibit 16?

2 A. (MS. FOGLER) Yes, I'm there.

3 Q. Okay. Thank you.

4 All right. So I just want to talk just a brief  
5 bit. So your undergraduate major is foreign affairs with  
6 a minor in economics and global sustainability?

7 A. (MS. FOGLER) That's correct.

8 Q. And you have a master's in public policy; is  
9 that correct?

10 A. (MS. FOGLER) That's also correct.

11 Q. And in your undergraduate work you didn't take  
12 any electrical engineering courses?

13 A. (MS. FOGLER) I did not.

14 Q. And you have not ever worked as an operator at a  
15 power plant; is that correct?

16 A. (MS. FOGLER) That is correct.

17 Q. And you don't have any certifications related to  
18 the practical operations of a power plant, such as a  
19 power plant maintenance mechanic or a power plant  
20 maintenance electrician; is that correct?

21 A. (MS. FOGLER) That is correct.

22 Q. And you have physically inspected a GE LM6000  
23 turbine how many times?

24 A. (MS. FOGLER) I have never done that.

25 Q. Okay. And you have worked on high-voltage

1 equipment in an industrial or commercial setting in terms  
2 of maintaining them to operate properly how many times?

3 A. (MS. FOGLER) I have never done that.

4 Q. And you have been in the control room of how  
5 many power plants?

6 A. (MS. FOGLER) I have never done that.

7 Q. So you testified quite a bit about definitions  
8 for -- that are in the EIA documents.

9 Do you recall that?

10 A. (MS. FOGLER) Yes.

11 Q. Okay. And so if you could take a look at  
12 UNSE-16 first.

13 A. (MS. FOGLER) I'm there.

14 Q. Okay. And so -- and this has been stipulated  
15 into admission for the record.

16 So do you agree that those two definitions that  
17 are in UNSE-16 are, in fact, the EIA definitions of  
18 "generating station" and "generating unit"?

19 A. (MS. FOGLER) Yes.

20 Q. Okay. And that EIA definition of generating  
21 station, is that a station that consists of electric  
22 generators and auxiliary equipment for converting  
23 mechanical, chemical, or nuclear energy into electric  
24 energy; is that correct?

25 A. (MS. FOGLER) Yes.

1 Q. And the -- the definition of generating unit is,  
2 "Any combination of physically connected generators,  
3 reactors, boilers, combustion turbines, and other prime  
4 movers operated together to produce electric power."

5 Do you agree that's correct?

6 A. (MS. FOGLER) That is what I'm reading as well.

7 Q. Okay. And so you believe these definitions,  
8 though, of the EIA, to be something that this Committee  
9 should rely on; is that correct?

10 A. (MS. FOGLER) I have presented information from  
11 EIA, so that the Committee has those facts.

12 Q. Okay. But you consider that to be a credible  
13 resource in terms of defining things; is that right?

14 A. (MS. FOGLER) Yes, I think EIA is a commonly used  
15 resource for definitions.

16 Q. Okay. And so these -- EIA also defines the term  
17 "plant"; isn't that correct?

18 A. (MS. FOGLER) Yes, the term of "plant" that I  
19 read during my testimony, is that what you're referring  
20 to?

21 Q. So -- well, I don't have it as an exhibit in  
22 front of me, could you -- could you please repeat the  
23 plant -- the definition of "plant" that you used during  
24 your testimony?

25 A. (MS. FOGLER) Yes. EIA defines an electric power

1 plant as, "A station containing prime movers, electric  
2 generators, and auxiliary equipment for converting  
3 mechanical, chemical, and/or fission energy into electric  
4 energy."

5 Q. Okay. And so that is an electric power plant;  
6 is that right?

7 A. (MS. FOGLER) Yes.

8 Q. Okay. And can you give me the page from which  
9 the -- from the EIA documents that you get that from?

10 A. (MS. FOGLER) This comes from the EIA glossary.

11 Q. Okay. And so since you have access to the EIA  
12 glossary, do you have access to the whole thing?

13 A. (MS. FOGLER) I am reading this from our prepared  
14 materials. I can get the website up, but I would rather  
15 not search new terms, if that's what you're hoping I will  
16 do. I have your exhibit that also has EIA glossary  
17 terms, I believe, so I have that.

18 Q. So you have -- you have UNSE-16, correct?

19 A. (MS. FOGLER) Yes.

20 Q. Okay. So -- but the EIA glossary also defines  
21 the actual word "plant," doesn't it?

22 A. (MS. FOGLER) I do not have that in front of me.

23 Q. Okay. So subject to check, then, are you  
24 saying -- well, let me just put it this way, are you  
25 saying that you cannot at this time agree that the EIA

1 glossary defines the term or the word "plant" as a term  
2 commonly used either as a synonym for an industrial  
3 establishment or a generating facility to -- or to refer  
4 to a particular process within an establishment?

5 MR. WOOLSEY: Mr. Chairman, I'm going to  
6 object. The witness has already stated that she doesn't  
7 have a copy of that definition in front of her.

8 CHMN STAFFORD: Do you -- do you have a  
9 copy of that that you can provide to the witness?

10 MS. HILL: Your Honor -- I'm sorry,  
11 Mr. Chairman, what I have is the EIA glossary, because  
12 this came up during the -- during her direct testimony.  
13 And so since she referred to an EIA glossary term, I just  
14 pulled up the glossary. I can easily give the website so  
15 that everyone can go to it, and then we can print it and  
16 file 25 copies, but because we couldn't e-file an exhibit  
17 over the lunch hour, it wasn't really possible.

18 CHMN STAFFORD: Okay. Can you read the  
19 definition of "plant" that you're referring to, please?

20 MS. HILL: I can.

21 So this comes from  
22 [www.EIA.gov/tools/glossary/index.php?id=P](http://www.EIA.gov/tools/glossary/index.php?id=P). And this is a  
23 live website, and it says, "Plant: A term commonly used,  
24 either as a synonym for an industrial establishment or a  
25 generating facility or to refer to a particular process



1 within an establishment."

2 MR. WOOLSEY: Mr. Chairman, I would just  
3 like to object that Sierra Club did not make the entire  
4 glossary an exhibit, and neither has the Company. So  
5 this, you know, this is -- we're referring here to  
6 something that's not in evidence, and this is outside the  
7 scope of Ms. Fogler's testimony.

8 MS. HILL: I'm going to -- may I respond?

9 CHMN STAFFORD: Certainly, please.

10 MS. HILL: I think Ms. Fogler used the term  
11 "plant" regularly and also discussed a definition of  
12 "plant" in her testimony. And so this is not only  
13 appropriate cross-examination, but it is not even close  
14 to outside the scope of her testimony. And as a matter  
15 of fact, it's fairly common in these proceedings for  
16 Mr. Woolsey and all -- everyone, really, to say "Do you  
17 agree that this is here" and people can just say "I don't  
18 know."

19 CHMN STAFFORD: Yeah, I'm curious as to why  
20 the definition isn't included in UNSE-16. It's from the  
21 same source, correct?

22 MS. HILL: It is from the same source,  
23 we -- and the -- would you like me to provide a response  
24 to that or --

25 CHMN STAFFORD: Yes, please.

1 MS. HILL: Well, so Ms. Fogler's testimony,  
2 because she concentrated so much on EIA definitions and  
3 talked about plant in EIA, you know, cross-examination  
4 sometimes it's things that you didn't anticipate when you  
5 were putting together your initial exhibits, and frankly,  
6 my next question points out that the term "plant" as used  
7 by EIA is different than the definition of "plant" in  
8 ARS 40-360.09. And so that's the purpose of that.

9 And, you know, as you know, Mr. Chairman,  
10 and all of us here, sometimes on cross-examination,  
11 things come up that you didn't anticipate when you were  
12 putting your direct examination exhibits together.

13 CHMN STAFFORD: That is true. But, again,  
14 the definition of "plant" isn't in the exhibits currently  
15 admitted?

16 MS. HILL: That's correct.

17 CHMN STAFFORD: I guess the remedy is  
18 you've asked her what the definition of "plant" is, and  
19 she doesn't have the definition.

20 MS. HILL: That's correct.

21 CHMN STAFFORD: It's not an exhibit, so I  
22 guess she -- her answer to the question is she doesn't  
23 have it. It's not in the record, so --

24 MS. HILL: Her answer is she doesn't know.

25 CHMN STAFFORD: Okay. Then please proceed.

1 MS. HILL: I will move on.

2 Q. Okay. So can you please turn to Sierra Club  
3 Exhibit 10.

4 A. (MS. FOGLER) Yes, I'm there.

5 Q. All right. And so when you look at Sierra Club  
6 Exhibit 10, and I believe we've looked at this before, do  
7 you recall having a conversation with the Chairman during  
8 your testimony about what Sierra Club Exhibit 10 is?

9 A. (MS. FOGLER) I do not recall myself having a  
10 conversation with the Chairman about Sierra Club  
11 Exhibit 10 during my testimony.

12 Q. All right. Well, let me just give you a little  
13 bit of a better question, then. These are, in fact,  
14 EIA-860 forms, correct?

15 A. (MS. FOGLER) Correct.

16 Q. And they're the EIA-860 forms for Black  
17 Mountain?

18 A. (MS. FOGLER) Correct.

19 Q. And they're the EIA-860 forms for -- from 2018  
20 through 2023, correct?

21 MR. WOOLSEY: I'm going to object that  
22 that -- I'm sorry, I'll withdraw that.

23 Go ahead, please answer.

24 MS. FOGLER: This is the form that was  
25 submitted to us as a response to some of our discovery.

1 I believe Sierra Club Exhibit 10 is only 2023, and Sierra  
2 Club Exhibit 9 includes other years.

3 BY MS. HILL:

4 Q. Oh, you are correct about that. So just let's  
5 take a look at Sierra Club Exhibit 10, because that is  
6 the one that you have up in front of you.

7 Okay. Do you agree that this is, then, the  
8 EIA-860 form for 2023 for Black Mountain?

9 A. (MS. FOGLER) This is the EIA-860 form for 2023  
10 that UNS provided us as their submission.

11 Q. Okay. And let's just turn to, it's the third  
12 page of the exhibit, it's labeled as page 14 of 73 for  
13 the form.

14 Do you see that?

15 A. (MS. FOGLER) I do.

16 Q. And there are two columns on that, correct?

17 A. (MS. FOGLER) Correct.

18 Q. And could you please explain to the Committee  
19 what -- what the column on the left shows?

20 A. (MS. FOGLER) The column on the left is  
21 demonstrating information for the first generator at the  
22 plant, the column on the right is showing information for  
23 the second generator, these are both labeled under EIA  
24 Plant Code 56482 as part of a single plant.

25 Q. Okay. Correct. And that single plant, then, is

1 where it says "EIA Plant Code," right, that would be  
2 "plant" as EIA defines it; is that right?

3 A. (MS. FOGLER) This would be a plant as EIA  
4 defines it. EIA-860 is for electric power plants, so I  
5 believe they're using the shorthand "plant" for their  
6 definition of "electric power plant," given that those  
7 other responders to this form.

8 Q. Okay. Thank you.

9 And you said you believe they're using shorthand  
10 "plant" as an electric power plant shorthand; is that  
11 what you said?

12 A. (MS. FOGLER) The shorthand for -- yes, their  
13 definition of an electric power plant in the  
14 instructions. They also layout further definition of  
15 power plant, which is aligned with their electric power  
16 plant definition for this specific form. That's another  
17 exhibit that Sierra Club has submitted.

18 Q. Yes. And could you please, just for everyone's  
19 recollection, refresh that exhibit number?

20 A. (MS. FOGLER) Yes. That is Exhibit SC-14.

21 Q. Okay. Thank you.

22 But you -- it is your belief that the use of the  
23 term "plant" on this form refers back to the plant that  
24 you talk about in Exhibit -- the definition of electric  
25 power plant that you read about in Exhibit 14, correct?

1 A. (MS. FOGLER) I believe that those are aligned,  
2 yes.

3 Q. Okay. So I don't think that quite answers my  
4 question, but I'll take that. And then just to be very  
5 clear, that definition of "electric power plant" in EIA  
6 Sierra Club Exhibit 14, that doesn't refer to ARS 360.09  
7 anywhere -- ARS 40-360.09 anywhere, does it?

8 A. (MS. FOGLER) It does not.

9 Q. And nowhere in the Arizona Revised Statutes does  
10 it refer back to the EIA definition of "plant"?

11 A. (MS. FOGLER) It does not.

12 MS. HILL: Okay. Thank you. No further  
13 questions.

14 Q. Oh, I'm sorry -- I'm sorry, I guess there is one  
15 further question. Thank you. My -- my technical expert  
16 pointed out to me, I'm very sorry.

17 So, Ms. Fogler, if you could take a look at  
18 Sierra Club Exhibit 10, again.

19 A. (MS. FOGLER) I'm there.

20 Q. Okay. And if you could take a look at, again,  
21 just page 14 of 73 or the third page of the exhibit.

22 A. (MS. FOGLER) I'm there.

23 Q. Okay. Look at question 3.

24 Do you see that?

25 A. (MS. FOGLER) I do.

1 Q. Okay. And if you go, in question 3, if you go  
2 down and you see the instructions there?

3 A. (MS. FOGLER) Yes, I see them.

4 Q. Okay. And do you see at the very bottom where  
5 it says, "Leave blank if this generator does not operate  
6 as a single unit with another generator."

7 Do you see that?

8 A. (MS. FOGLER) I do.

9 Q. Okay. And that -- that was left blank, wasn't  
10 it?

11 A. (MS. FOGLER) It appears that was left blank.

12 MS. HILL: Okay. Thank you. Now I have no  
13 further questions.

14 MS. FOGLER: I have one more further answer  
15 to that, which is that I believe the purpose of this is  
16 for combined-cycle units, so multi-generator unit is when  
17 there are two things that work together, just common and  
18 combined cycle. That's often how EIA uses this term, but  
19 yes, it is blank here, which would make sense for a  
20 simple-cycle turbine.

21 CHMN STAFFORD: And, Ms. Grabel, you had no  
22 other questions?

23 MS. GRABEL: I have no questions for  
24 Ms. Fogler. I do have questions for Mr. Routhier.

25 CHMN STAFFORD: Okay.

1 MS. GRABEL: Thank you.

2

3

C R O S S - E X A M I N A T I O N

4 BY MS. GRABEL:

5 Q. Good afternoon, Mr. Routhier.

6 A. (DR. ROUTHIER) Good afternoon.

7 Q. I have before me a copy of a dissertation that  
8 you provided in partial fulfillment of the requirements  
9 for the degree of doctor of philosophy. It's entitled  
10 "Technical and Policy Barriers to Terawatt Scale  
11 Implementation of Solar Photovoltaics."

12 Is that the title of your dissertation?

13 A. (DR. ROUTHIER) Yes.

14 Q. And that was in pursuit of a doctorate in  
15 philosophy?

16 A. (DR. ROUTHIER) Yes, my Ph.D. in electrical  
17 engineering.

18 Q. Thank you.

19 And you wrote this in May of 2022, correct?

20 A. (DR. ROUTHIER) That's when it was finalized. It  
21 was written substantially before this, but yes, that's  
22 when the final draft was submitted.

23 Q. Thank you.

24 How many papers on engineering or operations of  
25 natural gas thermal power plants have you published in



1 peer review journals?

2 A. (DR. ROUTHIER) None.

3 Q. And how many certifications -- do you have any  
4 practical operations of a power plant, such as a power  
5 plant maintenance mechanic, power plant maintenance  
6 electrician, or a power plant operator?

7 A. (DR. ROUTHIER) I do not.

8 Q. And you have not worked on any GE LM6000  
9 turbines, have you?

10 A. (DR. ROUTHIER) I've worked on modeling data  
11 specifically related to LM6000s, but not physically on a  
12 LM6000.

13 Q. And you don't have any experience actually  
14 physically working with high-voltage equipment either,  
15 correct?

16 A. (DR. ROUTHIER) That's correct.

17 Q. And you have not operated any thermal power  
18 plants, correct?

19 A. (DR. ROUTHIER) I have not physically operated  
20 them, no.

21 Q. Okay. Thank you.

22 And I'd like to turn to the IEEE. The IEEE --  
23 it's a new acronym to me -- document. So that's in  
24 WRA-1.

25 A. (DR. ROUTHIER) Okay.

1 Q. And, specifically, I'd like to focus your  
2 attention on page 16 --

3 A. (DR. ROUTHIER) Okay.

4 Q. -- which are the definitions.

5 A. (DR. ROUTHIER) Sure. Just give me one moment,  
6 please.

7 Q. All right.

8 A. (DR. ROUTHIER) Okay.

9 Q. And you would agree, would you not, that in  
10 these definitions when the IEEE defines a term, it does  
11 so by capitalizing the first letter, correct?

12 A. (DR. ROUTHIER) Generally, but in this case it  
13 seems that they have specifically pulled out "generating  
14 unit" and used that in a way that means something  
15 different than "unit." So --

16 Q. Well, is the phrase --

17 A. (DR. ROUTHIER) The word -- the word "generating"  
18 is not capitalized in here, if that's what you're asking.

19 Q. Is the term "generating unit" contained anywhere  
20 within the diction- -- within the definition section of  
21 this IEEE manual?

22 A. (DR. ROUTHIER) Within the definition section?

23 Q. Correct.

24 A. (DR. ROUTHIER) No, I don't believe it is.

25 Q. And the introduction actually anticipates that

1 for the purposes of this document, the following terms  
2 and definitions apply for general terms in the document;  
3 is that correct?

4 A. (DR. ROUTHIER) That sounds correct, yes.

5 Q. And looking at what you referenced earlier in  
6 the scope, which I believe is copied, if I can find it.

7 A. (DR. ROUTHIER) I believe it's page 13.

8 Q. Page 13, correct. The term "generating" is not  
9 actually capitalized at all, is it, correct?

10 A. (DR. ROUTHIER) That's correct.

11 Q. It's only a "unit" that is capitalized.

12 A. (DR. ROUTHIER) Correct.

13 Q. And that is because "unit" is a defined term,  
14 correct?

15 A. (DR. ROUTHIER) Correct. But as I pointed out in  
16 my testimony, the way that it's used, they use both terms  
17 in the same sentence in the document and if you  
18 interchange one of those terms from the other, it  
19 wouldn't make sense, so it's clear that they mean  
20 different things by the two different terms.

21 Q. You agree, do you not, that a turbine and  
22 generator is a unit?

23 A. (DR. ROUTHIER) A turbine and a generator is a  
24 unit.

25 Q. And the unit generates electricity, correct?

1 A. (DR. ROUTHIER) The generator generates  
2 electricity.

3 Q. You disagree that a turbine and generator  
4 together generate electricity?

5 A. (DR. ROUTHIER) That is one way to generate  
6 electricity, yes.

7 Q. Thank you.

8 The word "plant" is defined by the IEEE  
9 document, correct?

10 A. (DR. ROUTHIER) Yes, I believe so, towards the  
11 back.

12 Q. Yes, it's defined on page 19. Will you please  
13 read that definition into the record?

14 A. (DR. ROUTHIER) Sorry, just give me one moment.  
15 Under Section 3.18 it says, "An energy generating  
16 facility consists of one or more units."

17 Q. And that definition is different than the  
18 definition of "plant" contained in Arizona Revised  
19 Statutes 40-360.09, correct?

20 A. (DR. ROUTHIER) Yes, I agree.

21 Q. And if you can turn, and this is -- it's not a  
22 numbered page, but it's the third page of this document,  
23 so if you look at, the title page is number 1, then flip  
24 the second page is number 2, and there's a third page  
25 that starts at the top with the heading, "Translations."

1 A. (DR. ROUTHIER) The third page I see has  
2 "Abstract" at the top.

3 Q. Well, I'm actually looking at the physical page,  
4 so -- if you can turn to the page that says  
5 "Translations" at the top.

6 A. (DR. ROUTHIER) Oh, I see. I found it.

7 Q. You see that?

8 A. (DR. ROUTHIER) Yeah.

9 Q. And if you'll actually jump down to the bottom,  
10 where it says "Laws and regulations."

11 A. (DR. ROUTHIER) Okay.

12 Q. Will you please read into the record the last  
13 sentence of that paragraph?

14 A. "Users of IEEE" --

15 Q. No, excuse me, Mr. Routhier, the last sentence,  
16 not the whole paragraph.

17 A. (DR. ROUTHIER) Oh, I apologize.

18 Q. Sure.

19 A. (DR. ROUTHIER) Let me just make sure I'm getting  
20 the right sentence. "IEEE does not, by the publication  
21 of this standard, intend to urge action that is not in  
22 compliance with applicable laws, and these documents may  
23 not be construed as doing so."

24 Q. So IEEE does not intend for its definitions to  
25 construe applicable laws, correct?

1 A. (DR. ROUTHIER) Correct.

2 Q. Are you aware that UNSE's Electric 2023 -- UNSE  
3 Electric's 2023 Integrated Resource Plan calls for the  
4 construction of 350 megawatts of solar and wind  
5 resources?

6 A. (DR. ROUTHIER) Yes.

7 Q. Are you also aware that UNS Electric's 2023  
8 Integrated Resource Plans calls for the construction of  
9 225 megawatts of energy storage resources?

10 A. (DR. ROUTHIER) Yes.

11 Q. And are you aware that none of these  
12 nonthermal resource -- or excuse me -- none of these  
13 nonthermal resources require a CEC prior to construction?

14 A. (DR. ROUTHIER) Yes, I'm aware of that.

15 Q. And do you object to the fact that these  
16 resources will be constructed without having been subject  
17 to CEC proceedings?

18 MS. DOERFLER: Objection; I just don't  
19 think this is relevant to this proceeding, which is  
20 specifically concerning whether a CEC is to be granted to  
21 a plant that -- and what that definition of "plant" is.

22 CHMN STAFFORD: Yeah, sustained.

23 Sustained. The issue before us is does the Black  
24 Mountain Generating Station, the existing unit and the  
25 proposed unit today, require a CEC, not whether other

1 things, not including the statute, should or should not  
2 include a -- require a CEC.

3 MS. GRABEL: Well, I would respond that  
4 these parties have made a big deal about the fact that we  
5 are not providing transparency or public outreach, et  
6 cetera, associated with the construction of a plant, and  
7 that would apply equally to a nonthermal plant.

8 CHMN STAFFORD: Well, we can all agree that  
9 the definition of "plant" doesn't include solar  
10 facilities.

11 MS. GRABEL: Okay.

12 CHMN STAFFORD: Whether it should or not is  
13 an issue for a different day.

14 MS. GRABEL: I won't force the issue.

15 MEMBER FONTES: Mr. Chairman?

16 CHMN STAFFORD: Yes, Member Fontes.

17 MEMBER FONTES: I'm also wondering if  
18 the -- when was the statute passed, what year?

19 CHMN STAFFORD: 1971.

20 MEMBER FONTES: Shouldn't we be using the  
21 1971 version of the IEEE to continue this  
22 cross-examination? Because that was the appropriate  
23 reference that I would think --

24 MS. GRABEL: Member Fontes, there was not  
25 an IEEE existing in 1971. It didn't come about until

1 1980.

2 MEMBER FONTES: Okay. And just for  
3 clarity, and this power plant is going to be built in  
4 this decade, right? So this IEEE standard would be the  
5 one that would be based on this specification?

6 CHMN STAFFORD: Right. Well, the IEEE  
7 standard, I think, is -- it could be informative about  
8 what the Arizona Statute is, but it's not dispositive of  
9 it. The Arizona Statute stands alone as its definition  
10 for the jurisdiction of this Committee and the Commission  
11 over siting plants. Whether that definition is the same  
12 or different than what the E -- is it IEEE -- does, I  
13 don't think it's -- it's not completely relevant.

14 I guess they are used -- we should view the  
15 State definition in light of the IEEE, but we are not  
16 obligated or bound to do so. It's -- they're  
17 suggestions, I would say, based on their arguments, but  
18 they are two -- two entirely different things.

19 MEMBER FONTES: Thank you.

20 MEMBER RICHINS: So, Mr. Chairman, are we  
21 suggesting that the IEEE definitions can inform our  
22 decision, but they're not the stand-alone reason for what  
23 we decide?

24 CHMN STAFFORD: (No audible response.)

25 MEMBER RICHINS: Okay. Thank you.



1 CHMN STAFFORD: Yes, I mean, it's  
2 persuasive authority, not binding authority. It's, oh,  
3 this is happening over here, we should -- that should  
4 color how we look at this. It's not, oh, this is what  
5 the Arizona Statute means, because they -- obviously, the  
6 Arizona Statute was passed long before this came about.

7 MS. GRABEL: Mr. Chairman, I would suggest  
8 it's not persuasive authority either. It's perhaps  
9 providing context for how it's used in certain  
10 situations, but it certainly has no binding legal  
11 precedent in Arizona.

12 CHMN STAFFORD: It's -- that's what I mean  
13 by "persuasive." It's, oh, yeah, you should look at it  
14 in this light based on these people's definition over  
15 here, somehow that's applicable to this situation where  
16 we are here today. That's a decision the Committee will  
17 have to weigh, and decide whether that influences their  
18 decision or not, but I guess it's not --

19 MEMBER LITTLE: Mr. Chairman?

20 CHMN STAFFORD: -- it's not -- we're not  
21 bound to that.

22 Is that Member Little?

23 MEMBER LITTLE: Mr. Chairman?

24 CHMN STAFFORD: Yes, Member Little.

25 MEMBER LITTLE: I would beg to differ about

1 when the IEEE was established, because I was a member of  
2 the IEEE as an undergraduate, and it was prior to 1971.

3 DR. ROUTHIER: The IEEE standard that we're  
4 talking about, Standard 762 was created in 1980. It was  
5 then updated in 1987. In 2006 it was --

6 (Cross-talk.)

7 MEMBER LITTLE: Okay. My apologies --

8 DR. ROUTHIER: -- it was reaffirmed in --

9 THE REPORTER: Hold on.

10 CHMN STAFFORD: One at a time.

11 DR. ROUTHIER: It was this Standard 76 --

12 (Cross-talk.)

13 MEMBER LITTLE: My apologies, I thought you  
14 were --

15 CHMN STAFFORD: Thank you, Member Little,  
16 so I think we've cleared that up. The standard we're  
17 talking about was established in 1980, correct,  
18 Ms. Grabel?

19 MS. GRABEL: Correct, yes.

20 MEMBER LITTLE: Got it.

21 CHMN STAFFORD: Member Little's point is  
22 that the entity existed prior to 1980. That seems to be  
23 the disconnect we were having here.

24 DR. ROUTHIER: That's correct.

25 CHMN STAFFORD: Ms. Johnson?

1 MS. JOHNSON: Chairman, yes, I'd like to  
2 object to counsel for UNSE's continued use of the word  
3 "precedent," and they have continued to use it  
4 incorrectly. And I think we agreed yesterday that it is  
5 an inappropriate usage. And I would ask them to please  
6 stop using it. Thank you.

7 CHMN STAFFORD: I don't recall "precedent"  
8 being used. I remember --

9 MS. GRABEL: Plant.

10 CHMN STAFFORD: -- "plant" and  
11 "persuasive," but I don't remember -- right, we all agree  
12 that, you know, technically, Commission Decisions are not  
13 precedential.

14 MS. HILL: We agree there's no STAR  
15 indecisives.

16 CHMN STAFFORD: Right. Right. Please  
17 proceed.

18 MS. GRABEL: That's all the  
19 cross-examination the Company has, your Honor -- I mean,  
20 Mr. Chairman.

21 CHMN STAFFORD: All right. Thank you.

22 Now, ArISEIA, you're up next.

23 MS. JOHNSON: Yup. Thank you, Chairman,  
24 Members, I do have a few brief questions for  
25 Mr. Routhier -- Dr. Routhier, excuse me.

1 C R O S S - E X A M I N A T I O N .

2 BY MS. JOHNSON:

3 Q. Dr. Routhier, you were in attendance for all of  
4 the witnesses in this matter; is that correct?

5 A. (DR. ROUTHIER) Yes.

6 Q. And are you the only engineer to testify in this  
7 entire proceeding?

8 A. (DR. ROUTHIER) I believe so.

9 Q. Are you the only witness to testify in this  
10 entire proceeding that has a Ph.D.?

11 A. (DR. ROUTHIER) To my knowledge, yes.

12 Q. Is it required to obtain a Ph.D. to write a  
13 dissertation?

14 A. (DR. ROUTHIER) I -- I don't know. Sorry, I  
15 don't know.

16 Q. Is that typically what is required to obtain a  
17 Ph.D.?

18 A. (DR. ROUTHIER) It is one of the requirements to  
19 obtain a Ph.D., yes.

20 Q. And to write a dissertation, you have to choose  
21 a topic; is that correct?

22 A. (DR. ROUTHIER) Correct.

23 Q. And the topic that you choose to write your  
24 dissertation does not, then, preclude you from working in  
25 any other areas as an engineer after you write such

1 dissertation, is it?

2 A. (DR. ROUTHIER) Correct.

3 Q. And is the dissertation one of many components  
4 to obtain a degree of a Ph.D.?

5 A. (DR. ROUTHIER) Yes.

6 Q. Did you also have to complete coursework in  
7 electrical engineering in your Ph.D. program?

8 A. (DR. ROUTHIER) I did. And as a matter of fact,  
9 I took utility law as part of my classes, and Ms. Grabel  
10 was my professor for that course.

11 CHMN STAFFORD: It appears you've come full  
12 circle now.

13 BY MS. JOHNSON:

14 Q. All right. I'll move on.

15 So, in your professional opinion, as the only  
16 engineer in this proceeding, are the units at Black  
17 Mountain Generating Station separate?

18 A. (DR. ROUTHIER) They are not.

19 Q. And is Black Mountain Generating Station one  
20 generating unit?

21 A. (DR. ROUTHIER) Yes.

22 Q. And is the nameplate rating for the generating  
23 unit, with the addition of the new expansion units and  
24 the existing units, in excess of 100 megawatts?

25 A. (DR. ROUTHIER) Yes.

1 MS. JOHNSON: Thank you. That's all.

2 CHMN STAFFORD: Commission Staff?

3 MS. EGAN: Thank you, Mr. Chairman.

4 Can you hear me?

5 CHMN STAFFORD: Yes, we can.

6 MS. EGAN: Okay.

7

8 C R O S S - E X A M I N A T I O N

9 BY MS. EGAN:

10 Q. Ms. Fogler, can you hear me?

11 A. (MS. FOGLER) Yes, I can.

12 Q. My name's Samantha Egan, and I'm with the

13 Commission Staff.

14 How are you today?

15 A. (MS. FOGLER) I'm good. How are you?

16 Q. Great. Thanks for asking. Thanks for your

17 time. Just a few questions.

18 So it seems today we are discussing what the

19 word "separate" means in the context of the statute, or

20 excuse me, the -- yes, the statute in question. What

21 does that word mean to you? How would you define it?

22 MR. WOOLSEY: I would object to the extent

23 that that's calling for a legal conclusion, because the

24 question references the statute.

25 MS. EGAN: Okay.

1 CHMN STAFFORD: Wait, let me understand the  
2 question. The -- you're asking the witness what she  
3 considers to be a generating unit; is that what the  
4 question is?

5 MS. EGAN: No, Mr. Chairman. I'm just  
6 asking what she believes the word "separate" means.

7 CHMN STAFFORD: I guess that's not really a  
8 factual question. That would be part of the legal  
9 argument that her attorney would make as to what factual  
10 components we've established, the configuration of the  
11 plants would lead to the conclusion, the legal  
12 conclusion, that they're separate or not, because that is  
13 really kind of the crux of the issue that we're -- of the  
14 statute that the legal argument will address.

15 MS. HILL: Mr. Chairman, may the -- may the  
16 applicant weigh in on -- and respond to the objection?

17 CHMN STAFFORD: Certainly.

18 MS. HILL: The applicant has presented  
19 Ms. Fogler as an expert to testify -- I'm sorry, not the  
20 applicant, thank you, sorry. I'm going to blame it on  
21 the glasses versus the contacts and my vanity for not  
22 being willing to wear bifocals. But the -- Sierra Club  
23 has presented Ms. Fogler as an expert, and she has  
24 plainly offered an opinion that these are not separate  
25 plants, and the factors that went into that. So I'm

1 going to respectfully say that I think that she's already  
2 answered the question about what -- that these are not  
3 separate plants, and that was allowed. And to the extent  
4 that Ms. Egan's question is an expansion of that, I  
5 disagree with Mr. Woolsey's characterization.

6 CHMN STAFFORD: What was your question  
7 again, Ms. Egan?

8 MS. EGAN: Mr. Chair, my question was how  
9 she defines the word "separate." If I may elaborate.  
10 I've heard it appear that there -- where she's used  
11 "separate" and then not or is integrate- -- is an  
12 integrated system interchangeably. So I was just  
13 wondering if "separate" is integrated to her. Are those  
14 synonymous? Is that what she defines as not separate?

15 CHMN STAFFORD: So if you're asking is the  
16 word -- does she consider "separate" and "integrated" to  
17 be synonymous?

18 MS. EGAN: Correct. I'm just trying to  
19 understand how she's determined they are not separate.  
20 What is separate?

21 CHMN STAFFORD: Okay. Answer the question,  
22 please.

23 MS. FOGLER: Yeah, so I think when I talk  
24 about separate or not separate, being not separate is  
25 because you are integrated or you are connected in some



1 way, making you non-separate, that is how I'm thinking  
2 about separate. If you are connected, you are not  
3 separate.

4 BY MS. EGAN:

5 Q. Thank you.

6 A. (MS. FOGLER) "Integrated" is another word for  
7 "connected."

8 Q. Okay. So connected is the opposite of separate?

9 A. (MS. FOGLER) I'm not sure in a specific -- if  
10 that's the best opposite word, but in this case, I'm -- I  
11 would say if something is connected, it is not separate.  
12 I don't know that I would say that those are the exact  
13 opposites, but I do think that it works as a defining  
14 characteristic.

15 Q. Thank you.

16 If the units didn't share or weren't connected  
17 to certain facilities within the overall facility, would  
18 you consider them to be separate?

19 MR. WOOLSEY: Could Ms. Egan perhaps  
20 clarify what -- what facilities she's referring to?

21 MS. EGAN: Sure.

22 I think we've heard testimony that the  
23 units share certain facilities, for instance, the cooling  
24 or the evaporating area, so I think Sierra Club has made  
25 the point that because they are connected to those shared

1 facilities, that they are overall connected to one  
2 another.

3 Q. So my question being, if they weren't connected  
4 to those shared facilities, would you, in your  
5 professional opinion, consider them to be connected or  
6 integrated?

7 A. (MS. FOGLER) Thank you for the clarification.

8 And I do think that this is a very important  
9 question, because if each unit had all of its own  
10 individual equipment that was not connected to anything  
11 else, that would be a separate unit. However, that is  
12 not what has been presented here. There are multitudes  
13 of connections between all of the units, which makes them  
14 not separate.

15 Does that answer your question?

16 Q. It does. Thank you.

17 Do you think that there would be a greater  
18 impact to the environment if each unit had their own  
19 separate facilities?

20 A. (MS. FOGLER) This is a bit beyond my testimony  
21 that I gave here, but in general, and again, it depends  
22 on a number of characteristics, so I guess, honestly, I  
23 don't know that I can say specifically, because it would  
24 depend on so many different characteristics of how that  
25 was built.

1 Q. Dr. Routhier, do you have an opinion?

2 A. (DR. ROUTHIER) I think Mr. Bearce, it was  
3 yesterday, answered a similar question, and his response  
4 was that without the full technical schematics and  
5 details of their plant, build it's impossible to know  
6 that, and I would agree with his evaluation. It's --  
7 it's impossible to know the impact of whether -- whether  
8 it's more environmentally impactful to have it connected  
9 or disconnected without seeing full detailed engineering  
10 drawings and schematics. There are too many assumptions  
11 that would go into that decision.

12 Q. So your opinion is if each of the units have  
13 their own facility, cooling, evaporating, all of the  
14 other ones mentioned, that there wouldn't be a larger  
15 impact to the surrounding land?

16 A. (DR. ROUTHIER) I'm saying I can't make that  
17 distinction without more detailed information than what  
18 was provided in the application.

19 Q. Thank you.

20 Mrs. Fogler, what harm, if any, do you see, if  
21 any, if the disclaimer is granted?

22 A. (MS. FOGLER) I think that this is getting beyond  
23 my testimony and others have spoken to this, but I did  
24 not provide testimony on the specific harms that would be  
25 granted if the disclaimer or what would occur if the

1 disclaimer were granted. I think others are probably  
2 more suited, maybe not on this panel, but in the room, to  
3 speak about that.

4 Q. Do you have an opinion of the potential for  
5 excluding smaller megawatt plans?

6 A. (MS. FOGLER) I also did not provide testimony on  
7 that, and do not have an opinion to share now.

8 Q. Okay. Dr. Routhier, do you have one?

9 A. (DR. ROUTHIER) Similar to Ms. Fogler, I don't  
10 think my testimony was on this topic, and so I do not  
11 have an opinion.

12 Q. Thank you.

13 Not to belabor the point, we did mention that  
14 IEEE guideline or definition already, the statute did  
15 have two revisions in 2001 and 2003, I believe.

16 Dr. Routhier, do you believe that that would  
17 afford an opportunity to site to that definition if it  
18 was intended that it be used?

19 A. (DR. ROUTHIER) I don't know how the legal  
20 statute revision process works, so I'm not sure I can  
21 answer that question.

22 MS. EGAN: Okay. Thank you, Mr Chair. No  
23 further questions.

24 CHMN STAFFORD: All right. Sierra Club and  
25 WRA, any redirect?

1 MR. WOOLSEY: Yes, Mr. Chairman, I do have  
2 a few redirect questions for Ms. Fogler.

3 CHMN STAFFORD: Please proceed.  
4

5 R E D I R E C T E X A M I N A T I O N

6 BY MR. WOOLSEY:

7 Q. Ms. Fogler, would you please talk a bit more  
8 about how you've analyzed gas-fired power plants through  
9 your work at Sierra Club, and the types of knowledge that  
10 you've acquired about gas-fired power plants?

11 A. (MS. FOGLER) Sure. I'd be happy to.

12 So I've been focused on tracking, evaluating,  
13 and analyzing gas power plants for years now. In my  
14 current role, I track every single plant gas unit in the  
15 U.S. Also track which of those units are part of a plant  
16 and which is a single unit at a single plant. I do this  
17 through reviews of major -- major data sources that track  
18 this information, along with our own internal review of  
19 public information, like IRPs and other planning  
20 documents, to supplement with the latest information that  
21 sometimes isn't in those public sources. I also analyze  
22 the different plans based on their differing technology  
23 types and create estimates of how they will be used in  
24 terms of how much they will generate, their water use,  
25 their emissions, et cetera.

1 I do that based on historical use of similar  
2 plants, so looking at how did CT plants operate in the  
3 past? What does that mean for proposed plants in the  
4 future? I also look at the functions that gas plants  
5 would provide and compare those functions. Functions  
6 like their capacity value, their generation, and various  
7 reliability services to other types of generation.

8 Q. Can an entire power plant have a nameplate  
9 capacity?

10 A. (MS. FOGLER) Yes, it absolutely can. You simply  
11 add up the nameplate ratings to the units to get the  
12 plant capacity. This is common practice as multi-unit  
13 plants aren't the norm in many places.

14 Q. Does the EIA add up nameplate capacities from  
15 various units and also label that as nameplate capacity?

16 A. (MS. FOGLER) Yes. EIA does this at the plant  
17 level and they do this even up to creating summaries for  
18 the total nameplate capacity available by technology type  
19 or by fuel type.

20 Q. And the EIA definition of "electric power plant"  
21 that you referenced during your testimony and that the  
22 Company asked you about, that's from the EIA's glossary,  
23 correct?

24 A. (MS. FOGLER) Yes.

25 Q. And that definition of "electric power plant"

1 from the EIA glossary is provided as Sierra Club Exhibit  
2 25, correct?

3 A. (MS. FOGLER) That's correct.

4 MR. WOOLSEY: Thank you. I have no further  
5 questions for Ms. Fogler.

6 CHMN STAFFORD: Ms. Doerfler, any redirect?

7 MS. DOERFLER: Thank you. Yes, I have just  
8 a few, I promise.

9

10 R E D I R E C T E X A M I N A T I O N

11 BY MS. DOERFLER:

12 Q. Dr. Routhier, I'm going to direct you to UNS-16,  
13 which is the EIA definition of "generating unit." That  
14 definition reads, "A combination of physically connected  
15 generators, reactors, boilers, combustion" --

16 THE REPORTER: Okay. I'm sorry, you have  
17 to slow down.

18 MS. DOERFLER: Sorry, I will slow down.  
19 I'll start over again.

20 Q. -- which is the EIA definition of "generating  
21 unit." That definition reads, "The combination of  
22 physically connected generators, reactors, boilers,  
23 combustion turbines, and other prime movers that operate  
24 together."

25 Is that -- is that definition at odds with the

1 definition presented in the IEEE standard?

2 A. (DR. ROUTHIER) No, I don't believe so.

3 Q. Can you describe why these definitions are not  
4 at odds?

5 A. (DR. ROUTHIER) In the -- in the definition you  
6 read, sorry, I don't have the definition here in front of  
7 me to look at, but based on what you just read to me, all  
8 of the things that you -- all of the physical components  
9 you said were plural, and it talked about them being  
10 physically connected. These -- these four units are  
11 connected through a common bus and through step-up  
12 transformers that make them physically connected. If  
13 there was a fault on the bus that connects these units to  
14 the transformer, none of the four units could operate.  
15 They are not separate.

16 If -- if there is a fault in one of the  
17 transformers, even if the other transformer is -- is  
18 still functional, it would severely limit the operation  
19 of the turbines that are being operated if only one  
20 step-up is -- is -- if only one step-up transformer is --  
21 is in service, you cannot operate all four of them. If  
22 there is a fault on the bus, you cannot operate any of  
23 the units.

24 And so to -- to say that these are not connected  
25 and that their -- their operation is not inter-related to



1 each other I think is just a factual inaccuracy.

2 Q. So can a generating unit be separate even under  
3 this definition?

4 A. (DR. ROUTHIER) No.

5 Q. Dr. Routhier, do you feel you need to write  
6 papers on a topic to be educated on it?

7 A. (DR. ROUTHIER) No.

8 Q. Do you feel you need to physically operate or  
9 handle a turbine or any other piece of equipment to  
10 understand how it works?

11 A. (DR. ROUTHIER) No.

12 Q. This is a bit of an odd one, but stay with me  
13 here, is the term "smartphone" the same as the term  
14 "phone"?

15 A. (DR. ROUTHIER) No.

16 Q. What if the term "smart" wasn't capitalized?

17 A. (DR. ROUTHIER) I think it would still be  
18 different.

19 Q. Would -- okay. You just answered my last  
20 question. So he beat me to it.

21 That is all. Thank you.

22 CHMN STAFFORD: Thank you. I think we have  
23 finally concluded the factual portion of this hearing and  
24 are prepared to move on to closing arguments, oral  
25 arguments on the application for disclaimer of

1 jurisdiction.

2 Do any of the -- yeah, do any of the  
3 members have any questions, factual questions, before we  
4 proceed to the legal argument?

5 Member Gold?

6 MEMBER GOLD: I have a question, if I can  
7 direct it -- if I can direct it to Ms. Scott.

8 CHMN STAFFORD: Wait, Staff didn't have any  
9 witnesses. When Ms. Scott presents her oral argument on  
10 the statute, you can ask her questions about --

11 MEMBER GOLD: Understood.

12 CHMN STAFFORD: -- but right now this is --  
13 we're closing the factual portion of the record and now  
14 moving on to the legal argument section.

15 Do all the parties understand? Do you have  
16 a question?

17 MEMBER RICHINS: I just have one.

18 CHMN STAFFORD: Okay.

19 MEMBER RICHINS: I, Ms. Doerfler -- Emily.

20 DR. ROUTHIER: Doerfler.

21 MEMBER RICHINS: Thank you.

22 Earlier in your presentation, you talked  
23 about what effect the lack of a proceeding for a CEC  
24 might have on archaeological resources. And are you  
25 familiar with the site with which -- where this plant is

1 proposed or where this generating facility is proposed?

2 MS. DOERFLER: Can you clarify by what you  
3 mean by "familiar with the site"? Are you talking about  
4 the area or --

5 MEMBER RICHINS: The actual property where  
6 the generating facility will be constructed. So the  
7 construction site.

8 MS. DOERFLER: Sure.

9 MEMBER RICHINS: Not the surrounding  
10 desert, but the construction site, specifically.

11 MS. DOERFLER: Sure. I'm aware of its  
12 general location, but I've never physically walked on the  
13 grounds, so to speak.

14 MEMBER RICHINS: Have you seen an aerial  
15 photo?

16 MS. DOERFLER: Yes.

17 MEMBER RICHINS: Okay. So what I wanted to  
18 understand is your view on -- if we're lacking something  
19 here in this proceeding about that, what kind of scrutiny  
20 should be placed on an already-disturbed site? Because  
21 by an aerial photograph you can see that it appears to be  
22 a lay-down yard, would that be correct? What -- what  
23 would we be missing if we didn't scrutinize where that  
24 construction was to take place?

25 MS. DOERFLER: I mean, to be fair, I'm not

1 an archaeologist, so I'm not entirely certain what could  
2 be disturbed or left alone or have already been disturbed  
3 and, therefore, you know, doesn't really need to be --  
4 have any concern around it.

5 I would say that my concerns go beyond the  
6 build-out of -- or just the expansion of plants. If a  
7 plant is a generating unit under 100 megawatts, and this  
8 Committee adopts the interpretation that single units  
9 count as plants, then -- or doesn't count as a plant,  
10 then, feasibly, a new generating station could be built  
11 with a single or with multiple units and still not count.

12 I may have gotten that slightly wrong. But  
13 I would say that my concern is more breaking new ground  
14 than it is about ground that has already been disturbed.  
15 I do get your point.

16 MEMBER RICHINS: Okay. Yeah, I just wanted  
17 to make sure.

18 You also made a factually incorrect  
19 statement about the Native American tribes. I just want  
20 to make sure it gets corrected for the record. You said  
21 22 Native American tribes here in Arizona have been here  
22 for 12,000 years. That is factually incorrect. There's  
23 migration periods that have happened. They have not all  
24 been here for 12,000 years. I just want to make sure  
25 that gets corrected.

1 MS. DOERFLER: That is fair. I apologize.

2 MEMBER RICHINS: The -- no, that's all I  
3 have. Thank you.

4 CHMN STAFFORD: Thank you. All right.  
5 Ms. Grabel or Ms. Hill, who will be delivering your oral  
6 argument?

7 MS. GRABEL: I will, Mr. Chair.

8 CHMN STAFFORD: Please proceed.

9 MS. GRABEL: All right. Thank you. I do  
10 have a PowerPoint presentation, if we could put that up  
11 on the screen.

12 All right. Thank you. So we've heard the  
13 facts over the past day and a half and now it's time to  
14 talk about the law. So we'll start with the basics. Who  
15 needs to file for a CEC? The answer is found in the  
16 Statute 40-360.03, and that is every utility planning to  
17 construct a plant, that's the relevant portion for this  
18 proceeding. So the next question is, what is a plant?  
19 The statute tells us, again, in relevant part, "A plant  
20 means each separate thermal, electric, nuclear, or  
21 hydroelectric generating unit with a nameplate rating of  
22 100 megawatts or more." The law also has rules about how  
23 to construe a statute. They are as follows: First, when  
24 interpreting statutes, we begin with the text, what does  
25 it actually say? A cardinal principle of statutory

1 interpretation is to give meaning, if possible, to every  
2 word and provision so that no word or provision is  
3 rendered superfluous.

4           Second, we are unambiguous, which means  
5 patently clear. We apply the express terms of a  
6 constitutional or statutory provision without resorting  
7 to secondary methods of construction. Further, and  
8 again, we give meaning to each word, phrase, and clause  
9 and sentence, so that no part will be void, inert,  
10 redundant, or trivial. Every word has to have meaning,  
11 and to effectuate that clause, courts look to dictionary  
12 definitions.

13           So let's take the word -- let's look at the  
14 word "each." "Each," according to the American Heritage  
15 Dictionary, means one or two of more considered  
16 individually. Let's look at the word "separate." Again,  
17 according to the American Heritage Dictionary, "separate"  
18 means not touching or adjoined, detached, considered as  
19 an independent entity. Let's look at the term  
20 "generating unit." Here, "generating unit" in the  
21 singular, not the plural, is defined by Corporation  
22 Commission regulations as a device or set of devices that  
23 convert one form of energy into electricity, such as, and  
24 it specifically states, "a turbine and generator." These  
25 are the facilities actually involved in the conversion of

1 energy to electricity.

2 I was a participant in the proceedings  
3 underlying these resource planning rules, as were many  
4 utilities, solar advocates, energy efficiency advocates,  
5 and several other Arizona Corporation Commission  
6 stakeholders. So although these rules were enacted after  
7 the Siting Act, it represents the Arizona Energy  
8 Industries' consensus as to the meaning of the term  
9 "generating unit." How is "nameplate rating" defined?  
10 This is undisputed. It is the maximum output associated  
11 with a single unit, as displayed on the nameplate that is  
12 physically affixed to the generator.

13 So looking at all of these words in  
14 context, the legislature could not have been more clear  
15 in its intent to focus on the individual rating at an  
16 individual unit, and not the capacity of the entire  
17 generating station. A generating unit has a nameplate.  
18 A generating station as a whole does not. If the  
19 legislature had wanted to aggregate the cumulative  
20 capacity of the individual ratings, they could have done  
21 so; other states have.

22 For example, Iowa; Iowa requires a permit  
23 to construct, quote, a facility. A facility means, in  
24 relevant part, "Any electric power generating plant or  
25 combination of plants at a single site owned by any

1 person with a total capacity of 25 megawatts of  
2 electricity or more." This is the kind of language used  
3 when the intent is to look at the total cumulative  
4 capacity of all generating units at a site. Arizona did  
5 not use such language.

6 Let's take another example, Minnesota;  
7 Minnesota requires a permit before constructing, quote, a  
8 large energy facility. Large energy facility means "Any  
9 electric power-generating plant or combination of plants  
10 at a single site, with a combined capacity of 50,000  
11 kilowatts or more." Again, when the legislature intends  
12 that the trigger for a permit requirement be achieved by  
13 combining the total capacity of all units at a site, they  
14 say so. Arizona chose not to do that.

15 Federal law gives another contrasting  
16 example. In the Federal Power Act, the U.S. Congress  
17 decided to exempt certain power production facilities  
18 from permitting and regulatory requirements when they  
19 fall below a certain threshold. To be exempt, the  
20 utility must demonstrate, among other things, that its  
21 power production capacity, which together with any other  
22 facilities located at the same site, does not exceed  
23 80 megawatts. These jurisdictions use words that make it  
24 patently clear that the capacity of all of the units on  
25 the site be combined to determine whether the capacity



1 threshold has been met. They use words like "combined,"  
2 "combination," "together with other facilities," "with a  
3 total capacity," et cetera. Arizona did not.

4           Instead, the Arizona legislature did  
5 exactly the opposite and used words that require us to  
6 focus on the individual unit, exclusive of others,  
7 "each," "separate," "generating unit," in the singular,  
8 "with a nameplate capacity," referring to a plate that is  
9 physically affixed to that single unit. The  
10 legislature's intention to focus the examination on the  
11 capacity of that single generating unit couldn't be more  
12 clear.

13           So let's apply the claim to the facts. The  
14 first undisputed fact is that the nameplate is a physical  
15 object attached to a generating unit that sets the  
16 maximum output. It will never go higher. What is on the  
17 nameplate is the nameplate rating of that unit. We saw  
18 these pictures previously. The nameplates on the  
19 existing BMGS Unit 2. These are exemplar of what will be  
20 on the new unit. As stipulated, they are physically  
21 affixed to each generator, and we went through the math,  
22 the nameplate rating of each is 61 megawatts, less than  
23 100 megawatts, and that's what it's anticipated to be on  
24 the new units.

25           Indeed, that's another undisputed fact, the

1 nameplate rating for each new generator will be less than  
2 100 megawatts. No one disagrees. The layout of the new  
3 generating units at the site is also undisputed, as is  
4 the nature of the components of the units, which are  
5 individual to the generating unit, and which are  
6 anticipated to be shared.

7           We heard testimony that in a single-cycle  
8 natural gas plant, electricity is produced by using a  
9 turbine to drive an electricity generator. Each of the  
10 four units will have its own turbine and its own  
11 generator. Each has its own monitor, its own set of  
12 controls, its own auxiliary skids, containing  
13 instrumentation needed to run that singular unit. Each  
14 will have its exhaust stack and emissions monitoring  
15 equipment, and each will have its own set of switch gear  
16 and cable to deliver the energy produced by that unit to  
17 the grid. There is no dispute that the units will be  
18 individually dispatched and do not depend on one another  
19 to generate electricity. They are run separately and  
20 they will, like the existing two units, deliver  
21 electricity to the grid at different times and in  
22 different amounts.

23           They will share certain facilities, such as  
24 the evaporation pond, water tanks, and cooling tower,  
25 because it is economically sensible to do so. Those

1 shared facilities do not render the units any less  
2 separate. They do not physically adjoin the units in any  
3 way, and the use of the shared equipment does not make  
4 one unit dependent upon the other. Each unit continues  
5 to exist as an independent producer of power. We could  
6 build separate shared -- separate supporting facilities  
7 for each unit, but it's better to take advantage of  
8 economies of scale and save ratepayers money.

9           The argument that the shared equipment  
10 turns four units into one unit is as disingenuous as  
11 saying that two cars housed in the same garage, washed  
12 with the same hose, fueled at the same gas station, and  
13 serviced by the same mechanic, are no longer separate  
14 cars, even though they can be driven at different times  
15 and at different speeds.

16           Simply put, the four generating units  
17 operate independently of one another, notwithstanding the  
18 use of shared facilities, and remain technically and  
19 operationally distinct. Legally, the statute provides a  
20 clear way to determine whether a generating unit is  
21 separate. Does it have its own nameplate? The  
22 undisputed answer here is yes.

23           UNSE's interpretation also adheres to the  
24 Corporation Commission's definition of "generating unit,"  
25 which focuses on the devices that convert one form of

1 energy into electric energy, and specifically uses the  
2 turbine and generator as an example of such a set of  
3 devices. The shared equipment is not involved in the  
4 conversion process. The cooling towers, for example, are  
5 not required to generate electricity and are only used  
6 seasonally. Their purpose is to make the units run more  
7 efficiently, but they are not actually involved in the  
8 conversion process itself. Neither is the generation tie  
9 line that brings the electricity to the grid, nor the  
10 evaporation pond that collects the byproduct from the  
11 generation process. These facilities are needed for the  
12 unit to comply with regulatory requirements and transmit  
13 electricity to the grid, certainly, but they are not  
14 devices that convert one form of energy into electric  
15 energy, like the turbine and generator are. They are  
16 simply not part of the generating unit.

17 The intervenors' interpretation of the  
18 generating unit refers to the total capacity of the  
19 generating station is not only inconsistent with the  
20 Corporation Commission's regulation, but it renders the  
21 reference to the, quote, nameplate rating entirely  
22 meaningless. The statute is unambiguous in this regard.  
23 Ironically, intervenors have no problem with this  
24 definition, to the extent it exempts nonthermal  
25 generation, such as solar projects, from having to go

1 through the CEC process.

2 As this Committee knows well, most of the  
3 generation being built today is solar or storage or some  
4 combination of both. Of the resource needs identified in  
5 UNSE's most recent IRP, 575 megawatts of the  
6 775 megawatts are expected to be met with solar and  
7 energy storage. We don't hear any protest about the lack  
8 of process, oversight, transparency, or regulatory review  
9 that will be attending these nonthermal projects, which  
10 clearly have an environmental impact. Look at the land  
11 use they have.

12 It is only when UNSE seeks to apply the  
13 plain meaning of the statute to natural gas generation  
14 that they protest. Their position is, respectfully,  
15 hypocritical. The plain language of the statute is clear  
16 and it should be applied appropriately. Solar projects  
17 do not require a CEC, but neither do thermal generating  
18 units with a nameplate capacity of under 100 megawatts,  
19 which will be the case of the four proposed units at  
20 Black Mountain. If there is a concern about this  
21 exemption in today's energy environment, the solution  
22 lies with the legislature.

23 I'd now like to provide an initial response  
24 to the intervenors' arguments, but would reserve the  
25 right to rebut any new arguments that they make later.

1 First, the intervenors characterize our interpretation as  
2 novel or unprecedented. But there are no binding  
3 precedents on this issue at the Commission or in any  
4 court for that matter. This is simply a legal issue of  
5 first impression, which is why we filed this application  
6 to begin with. Voluntary filings made by utilities  
7 inconsistent with this application do not change the  
8 plain language of the statute. And although we're not  
9 going to use it as precedent, I'll use the chairman's  
10 language, there have been instances in the past, such as  
11 with the Black Mountain units, that the units have been  
12 constructed without a CEC. And that is as much of a  
13 precedent as the ones that have been built with a CEC.

14 The intervenors argue that common  
15 facilities make the units not separate, therefore,  
16 requiring the aggregation of capacity. As I've said  
17 previously, the statute provides a clear answer to  
18 determine how a unit is separate. Does it have a  
19 nameplate? Each of the four generating units will have a  
20 separate nameplate of under 100 megawatts; that's a  
21 stipulated fact. The overall generation station does not  
22 have a nameplate. This alone undermines their arguments.

23 Moreover, as we saw, jurisdictions that  
24 combine the capacity of individual units have specific  
25 statutory language to require that outcome: Iowa,

1 Minnesota, FERC. Arizona does not. It focuses on the  
2 individual unit using four words, all of which are  
3 defined with the word "individual," each separate  
4 generating unit, in the singular, with a nameplate rating  
5 that's physically attached to the plant.

6           The Corporation Commission rules define  
7 "generating unit" as a device or set of devices that  
8 convert one form of energy into another, such as a  
9 generator and turbine. Shared facilities are not  
10 involved in that process and, therefore, are not part of  
11 the unit. I think it's clear that each existing and new  
12 generating unit will operate independently. They are  
13 physically detached and do not rely on one another to  
14 generate electricity. And, again, sharing common  
15 facilities does not change each separate unit into one  
16 combined unit. It's just sound economic practice.

17           One intervenor argues that "Single-cycle  
18 combustion turbines are the only kind of plant anyone is  
19 building today so that granting a company's request for  
20 disclaimer would render the entire statute void." That  
21 is simply false. Combined-cycle plants -- or  
22 single-cycle combustion turbines are not the only type of  
23 plant being built today. Most plants being built are  
24 solar, wind, and energy storage. And those who construct  
25 them rely on the definition of "plant" to deny

1 jurisdiction. When enacted, nuclear, coal, oil, and  
2 combined-cycle gas were all possibilities, and the fact  
3 that some are no longer economical does not render the  
4 statute itself void.

5 Moreover, this statement is based on gross  
6 speculation. There is no evidence that larger  
7 combined-cycle natural gas plants will not be required to  
8 be constructed in the future. In fact, we heard  
9 Mr. Bryner specifically testify that if a larger base  
10 load plant is what is needed to fit the Company's  
11 resource needs, that is what will be built, and the  
12 Company will seek a CEC to do so. As a practical matter,  
13 too, some combustion turbines are larger than  
14 100 megawatts. That was established during the hearing,  
15 so the statute would clearly apply to them as well.

16 AriseIA also argues that under the Federal  
17 Public Utilities Regulatory Policies Act, any facilities  
18 within one mile of each other are presumed to be the same  
19 site for the purposes of the 80-megawatt threshold.  
20 However, ARS 40-360.09, does not incorporate the PURPA  
21 definition. It is legally irrelevant. Moreover, the  
22 Arizona legislature could not have had PURPA on its mind,  
23 since PURPA was enacted seven years after the Siting Act.  
24 The one-mile rule is expressly in the definition of a  
25 PURPA-qualifying facility and is, therefore, more similar



1 to the aggregating statutes that I referred to earlier  
2 from Iowa and Minnesota. Arizona, by contrast, did not  
3 include aggregating in the definition. There simply is  
4 no one-mile rule in Arizona.

5 Finally, the intervenors point to the  
6 legislative history underpinning the Siting Act as  
7 evidence that the legislature intended that the  
8 100-megawatt trigger be applied to the entire generation  
9 station and not the individual units. I've reproduced on  
10 the screen the declaration of policy. I put the whole  
11 thing on there so you could read it. It simply does not  
12 say that that was what was intended. What it does say is  
13 that the legislature recognized the need to construct,  
14 "major new facilities," to meet a growing need for  
15 electricity, and that impacted stakeholders should have  
16 the ability to participate to locate the "major facility  
17 at a specific site," and thus, declare a purpose to  
18 provide a single forum before this Committee here to  
19 resolve matters concerning the location of a generating  
20 plant.

21 Importantly, the legislature also then  
22 defined the plant that it determined to be a major new  
23 facility. And that definition is, "Each separate thermal  
24 electric generating unit with a nameplate rating of  
25 100 megawatts or more." Nothing in this declaration of

1 policy undermines UNSE's interpretation of the statute.  
2 To the contrary, it supports it. The definition of  
3 "plant" never changed as the bill passed to the House and  
4 the Senate. Other things did, there was some back and  
5 forth. The definition of "plant" never did. This was a  
6 widely supported package deal, which utilities supported  
7 as well.

8           We firmly believe that the Corporation  
9 Commission Staff got it right in this matter. The  
10 100-megawatt threshold struck a balance between the  
11 environmental impact and electric reliability. And that  
12 balance was the intent of the legislature, and is exactly  
13 what was written in the statute. However, as a legal  
14 matter, the purpose of a statute is only considered if  
15 the statute is unambiguous. This is the law, when the  
16 statute's plain language is clear, will not resort to  
17 other methods of statutory interpretation, such as the  
18 context of the statute, its historic background, its  
19 effects and consequences, and the spirit and purpose of  
20 the law.

21           Again, we're unambiguous. We apply the  
22 express terms of the Constitutional or statutory  
23 provision without resorting to secondary methods of  
24 construction. We give meaning to each word, phrase,  
25 clause, and sentence. And, finally, it is a basic

1 principle that courts will not read into the statute  
2 something which is not within the manifest intention of  
3 the legislature, as indicated by the statute itself. A  
4 court will not inflate, expand, stretch, or extend a  
5 statute to matters not falling within its express  
6 provisions.

7           The intervenors' arguments violate each and  
8 every law of statutory construction. First, there is no  
9 ambiguity in the statute. Each separate generating unit  
10 with a nameplate rating. The intention to look at each  
11 individual unit could not be more clear, especially when  
12 juxtaposed against those jurisdictions that do require  
13 aggregation. Their interpretation reads the phrase  
14 "nameplate rating" right out of the statute, which is  
15 legally impermissible, and shows that their  
16 interpretation was not what the legislature intended.

17           Their interpretation inflates the statute  
18 to achieve a policy objective, which is siting units with  
19 a cumulative rating of 100 megawatts or more. But that's  
20 not what the statute requires. The law requires us to  
21 apply the statute's plain meaning, and if a change should  
22 be made for policy reasons, that fix is with the  
23 legislature.

24           The intervenors make a lot of policy  
25 arguments. They suggest that Arizona will be overrun

1 with new gas plants for small nuclear reactors without  
2 regulatory oversight. However, as we've discussed, new  
3 gas plants are subject to other things, like air permits  
4 and zoning. They don't fully escape regulatory  
5 oversight. And that's probably even more true for  
6 nuclear reactors, which could include NRC regulations.  
7 Public service corporations file Integrated Resource  
8 Plans and issue All-Source RFPs for resources, even when  
9 a CEC is not needed. The Arizona Corporation Commission  
10 is, thus, still very much involved in a public resource  
11 corporation's resource planning decisions.

12           If a plant requires a CEC, UNS is going to  
13 seek one. We don't -- we come before you guys all the  
14 time. I think we're before you, like, 12 times in the  
15 next two years. We're not afraid of getting a CEC, if we  
16 need to. Public service corporations will not build a  
17 series of small units if the resource needs did not  
18 require it. Subject to prudence review in future rate  
19 proceedings, it's simply not worth the risk of  
20 disallowance to build something that doesn't fit the  
21 specific needs simply to avoid getting a CEC.

22           And, again, even assuming the intervenors  
23 are correct that the current language is inadequate, the  
24 remedy is with the legislature. These policy arguments,  
25 by law, cannot override the statutory definition.

1                   So, in conclusion, Arizona Revised Statute  
2 40-360.09 defines "plant" to mean, "Each separate thermal  
3 electric generating unit with a nameplate rating of  
4 100 megawatts or more." The Commission's resource  
5 planning rules define a generating unit as a specific  
6 device or set of devices that converts one form of  
7 energy, such as heat or solar energy, into electric  
8 energy, such as a turbine and generator. Each new  
9 generating set, the turbine and generator, is a separate  
10 generating unit pursuant to the Commission's resource  
11 planning rules. And each, it is undisputed, will have a  
12 nameplate rating of less than 100 megawatts.

13                   The shared use of facilities does not make  
14 these generating units any less separate, are not  
15 involved in the energy conversion process, and are,  
16 therefore, not part of the generating unit. They do not  
17 physically connect the generating units or cause them to  
18 operationally rely on one another to generate  
19 electricity. And it violates basic rules of statutory  
20 construction to interpret the word "separate" in a manner  
21 that renders the reference to the nameplate capacity of  
22 the generating unit meaningless.

23                   Because each new unit will have a nameplate  
24 rating below 100 megawatts, it is not a plant, as defined  
25 by the Siting Act, and does not require a CEC prior to

1 construction. Thank you very much.

2 CHMN STAFFORD: I have a question for you,  
3 Ms. Grabel. So based on your interpretation of the  
4 statute, if someone wanted to build a thousand megawatts  
5 of small modular reactors and each small modular reactor  
6 was 50 megawatts nameplate capacity, they could build  
7 that in a residential neighborhood and not have to go  
8 through the CEC process? And that's -- it's a yes-or-no  
9 question. It's not -- I know they have other processes  
10 they have to follow, but under your interpretation of the  
11 statute, it would be possible to build a thousand  
12 megawatts of new nuclear, small modular reactors, 50  
13 megawatts or less, without going through the CEC process?

14 MS. GRABEL: Thank you, Mr. Chairman, I had  
15 the same reaction you did when this question came before  
16 me, and looking at this from a legal perspective, the  
17 answer is yes.

18 CHMN STAFFORD: All right. Thank you.

19 Any questions from members?

20 MEMBER GOLD: Mr. Chairman?

21 CHMN STAFFORD: Member Gold.

22 MEMBER GOLD: Mr. Chairman, question for  
23 Ms. Grabel. Personally, I think gas plants are  
24 necessary, and I have no objection to your gas plants,  
25 but you did bring up something about specific written law

1 taking it as it is written. And I'm not sure if this is  
2 pertinent, so I would like a clarification of this.  
3 ARS 40-360.03, and I'm going to quote from Ms. Scott's  
4 document, Exhibit S-1, "Small plants," plural, with  
5 "nameplate ratings," plural, "less than 100 megawatts are  
6 exempt."

7 "Ratings" that implies more than one  
8 nameplate. Nameplate ratings. You have four nameplates,  
9 and the ratings, if you add them together, do exceed  
10 100 megawatts. So I am not sure of the interpretation of  
11 the law and, as a lawyer, would you interpret that for  
12 me, please?

13 MS. GRABEL: Yes. Thank you, Mr. Chairman,  
14 Member Gold.

15 I can't tell you what Staff intended to  
16 mean when it wrote its letter, and I'm sure Ms. Scott  
17 will answer for you, but my reading of the statute is you  
18 look at the nameplate rating on an individual generating  
19 unit, and that's one unit. There are four units being  
20 built, each have a nameplate rating of under  
21 100 megawatts, and therefore, they are not required to  
22 come before the Committee to receive a CEC before  
23 construction.

24 MEMBER GOLD: And I understood that. So  
25 now I'm going to have to direct my question to Ms. Scott.

1 CHMN STAFFORD: If you can wait until she  
2 gives her closing, then you can question her. Now's the  
3 time to question the applicant on its position.

4 MEMBER GOLD: Yes, Mr. Chairman.

5 CHMN STAFFORD: Thank you. Any other  
6 questions from members to Ms. Grabel?

7 (No response.)

8 CHMN STAFFORD: All right. Moving on.  
9 Sierra Club, you are next. Please present your oral  
10 argument.

11 MR. SHRINATH: Can you hear me,  
12 Mr. Chairman?

13 CHMN STAFFORD: Yes, we can.

14 MR. SHRINATH: Good afternoon, Mr. Chairman  
15 and Committee members. This is Nihal Shrinath on behalf  
16 of Sierra Club.

17 The Committee should deny UNS's application  
18 for a disclaimer of jurisdiction for the proposed  
19 expansion at Black Mountain Generating Station for three  
20 independent reasons, each of which shows that four  
21 50-megawatt gas-fired turbines for a single expansion  
22 amount to a 200-megawatt plant, in exceedance of the  
23 100-megawatt threshold, requiring a Certificate of  
24 Environmental Compatibility, or CEC.

25 First, the units cannot be considered



1 separate generating units under the plain meaning of the  
2 Arizona Line Siting Statute. Second, the units must be  
3 part of the same plant, based on industry, Commission,  
4 and other standard uses of "plant." Third, the units  
5 should not be regulated as separate plants, based on  
6 Commission precedent and Power Siting precedent  
7 nationwide.

8                   Turning to the first writing,  
9 interconnected turbines are not separate generating units  
10 under the plain meaning of the Arizona Line Siting  
11 Statute. ARS 40-360.03 requires that, quote-unquote,  
12 plants obtain a CEC. And ARS 40-360.09 defines "plant"  
13 as, "Each separate thermal electric generating unit with  
14 a nameplate rating of 100 megawatts or more."

15                   To understand what "separate" means,  
16 Arizona courts instruct us to look to the plain meaning.  
17 State v. Slaten [phonetic] says, we look first to the  
18 plain language of the statute, then to its context in  
19 history. State v. Taylor finds that in order to  
20 determine that ordinary meaning, we may refer to  
21 established and widely used dictionaries. We do not  
22 consider dictionary definitions in isolation, as State v.  
23 Gray finds, because context gives meaning.

24                   So to illustrate the plain meaning of  
25 "separate," we apply a dictionary definition to the

1 context of thermal generating units. And in this case,  
2 the four proposed units at BMGS. Black's Law Dictionary  
3 defines separate as individual, distinct, particular,  
4 disconnected. Stepping through, the proposed BMGS units  
5 are not distinct, they're part of a group of four. And  
6 the proposed units are certainly not disconnected. As  
7 was shown yesterday and today, the four generators and  
8 turbines are interconnected, not disconnected, through  
9 multiple systems of pipes and wires, including generation  
10 tie lines, power lines, wires, water pipes, and gas  
11 pipelines, all housed at the same site. By this  
12 definition, the BMGS units cannot be interpreted to be  
13 separate.

14 UNS points to a different definition of  
15 separate, but is equally unhelpful. The American  
16 Heritage Dictionary defines "separate" as not touching or  
17 adjoined, detached," and "existing or considered as an  
18 independent entity," applying this definition does UNS no  
19 favors. The four proposed units are adjoined, as you saw  
20 in diagrams this morning, by connections to various  
21 shared equipment. And the units are certainly not  
22 detached. In fact, the proposed generators and turbines  
23 are attached by at least 16 different connections, as you  
24 also saw this morning and yesterday. As far as being  
25 considered as an independent entity, the proposed units

1 are actually each dependent on a set of facilities that  
2 they share with the other units.

3           Testimony from Mr. Bryner, Mr. Bearce,  
4 Ms. Fogler, and Dr. Routhier, documents produced in  
5 discovery, and the filed stipulation of facts all confirm  
6 that the four new units would rely extensively on shared  
7 facilities. This is undisputed. For example, all four  
8 turbines would rely on the same water pumps, air  
9 compressors, evaporation pond, and cooling towers.

10           UNS's external representations regarding  
11 the existing units at BMGS also illustrate a lack of  
12 independence. The BMGS units are covered under one  
13 Arizona air permit, one federal EIA form, one description  
14 to UNS's IRP, and one fuel purchase contract. Commission  
15 Decision 70186 and 71914 also do not treat the units as  
16 independent, referring to BMGS as a single plant or  
17 facility.

18           In asserting that the BMGS units are  
19 independent and, therefore, separate, UNS attempts to  
20 conflate "individual" with "independent." But such a  
21 conflation is improper. A solar farm may include 2,000  
22 individual solar panels, which can each be turned on and  
23 off. That does not mean each of the 2,000 solar panels  
24 are independent, nor does it mean the solar farm with  
25 2,000 solar panels is, in fact, 2,000 solar farms.

1           Assessing the plain meaning of "separate"  
2 within the context of gas-fired power generation leads to  
3 a common sense conclusion. The proposed BMGS units are  
4 not separate units, but instead, part of one plant -- or  
5 one larger thermal generating unit. UNS has tried to  
6 convince the Committee today that since the Line Siting  
7 Statute equates "plant" with a separate generating unit,  
8 in the singular, that the statute is then inapplicable to  
9 four units. This ignores the simple fact that multiple  
10 units can make up a larger generation unit.

11           In fact, the Commission's own regulations  
12 define generation -- "generating unit" as, "Any  
13 combination of physically connected generators, reactors,  
14 boilers, combustion turbines, and other prime movers  
15 operated together to produce electric power." It does  
16 not say one generator, one prime mover, and ancillary  
17 equipment specific to them, it says many.

18           UNS further attempts to distract from the  
19 plain meaning of the Line Siting Statute by equating  
20 "turbine generator sets" with "plant." The language of  
21 the statute plainly contradicts that interpretation.  
22 Under the statute, only separate thermal generating units  
23 are plants. Multiple units that are part of a larger  
24 generating unit that are integrated, connected, and rely  
25 on shared equipment are not separate generating units,

1 and would not be considered separate plants by any  
2 reasonable person, whether a layperson or an engineer.

3           Moving from the plain language to the  
4 legislative history, Arizona courts, like in State v.  
5 Reginald instruct us to look at legislative intent to  
6 further instruct -- to further illustrate the meaning of  
7 statutory language. Arizona courts use declarations of  
8 policy from bills as evidence of legislative intent, like  
9 in State v. Hussein. For the Line Siting Statute, the  
10 legislature's declaration of policy is conclusive. It  
11 recognized that construction of, quote-unquote, major new  
12 facilities for electric generation has adverse  
13 environmental impacts, and found it, quote, essential in  
14 the public interest to minimize any adverse effect upon  
15 the environment, which such new facilities might cause.

16           The legislature then declared that the  
17 purpose of the Line Siting Statute is to, quote, provide  
18 a single forum for the expeditious resolution of all  
19 matters concerning the location of electric generating  
20 plants and transmission lines in a single proceeding.  
21 With that context, the 100-megawatt threshold in the  
22 statute's definition of "plant" serves as a proxy for,  
23 quote-unquote, major new facilities, which are, of  
24 course, likely to have greater environmental impacts than  
25 the smaller new facilities.

1           The legislature's use of "major new  
2 facility" makes it clear that the purpose of the Line  
3 Siting Statute was to evaluate the environmental impacts  
4 of the entire major new facilities, not just the impacts  
5 of individual components within those facilities, as UNS  
6 claims. This makes sense, since the focus of the statute  
7 was environmental impacts, which are necessarily  
8 contiguous and cumulative, rather than particular to one  
9 turbine or generator.

10           And as we heard yesterday and today from  
11 the Committee members themselves, the CEC process serves  
12 a unique process for public notice, stakeholder  
13 engagement, and environmental justice considerations by  
14 providing a single proceeding, as envisioned by the  
15 legislature. This process does not exist anywhere else.  
16 Viewed through this lens, BMGS's proposed new units are  
17 together a major new facility exceeding 100 megawatts.  
18 UNS should have to apply for a CEC, based on the new  
19 facility's -- the new facility's capacity, not some  
20 individual component's capacity.

21           As the last point on statutory  
22 interpretation, Arizona courts instruct us to avoid  
23 interpretations that lead to absurd outcomes. UNS's  
24 interpretation will lead to such outcomes. If an  
25 applicant can evade CEC review by characterizing a major

1 generation project as a collection of individual  
2 projects, each under the CEC threshold, it would defeat  
3 the legislative intent to evaluate environmental impacts  
4 of major new facilities in a single proceeding.

5 Under UNS's interpretation, no CEC would  
6 ever be required for any thermal power plant, as long as  
7 each individual turbine had a nameplate rating of less  
8 than 100 megawatts. This is particularly concerning in  
9 the age of peakers. Certain consequences would follow.  
10 Where a new power plant, one 100-megawatt turbine would  
11 be subject to CEC review, while a new 500-megawatt power  
12 plant with 10, 50-megawatt turbines would get no CEC  
13 review at all. Such consequences would jeopardize the  
14 Siting Committee's ability to review nearly all new gas  
15 peaking plants.

16 Turning to argument two, industry  
17 definitions, better reporting, Commission text, and state  
18 air permitting all indicate that multiple units built as  
19 part of a single build are part of one plant, as defined  
20 in the Line Siting Statute. Industry definitions  
21 illustrate the plain common sense meaning of "plant."  
22 The U.S. Energy Information Administration, or the EIA,  
23 supplies two helpful definitions: EIA defines an electric  
24 power plant as a station containing prime movers,  
25 electric generators, and auxiliary equipment for

1 converting mechanical, chemical, and/or fission energy  
2 into electric energy. The word "station" is illustrative  
3 here. UNS attempts to create a distinction between  
4 "station" and "plant," but industry terms of art treat  
5 them as one and the same. This definition also makes  
6 clear the plant is comprised of various interconnected  
7 parts, including multiple electric generators and prime  
8 movers.

9 EIA has another definition of "power  
10 production plant," which is all the land and land rights,  
11 structures, and improvements, boiler reactor vessel  
12 equipment, engines, and engine-driven generators, turbo  
13 generator units, accessory electric equipment, and  
14 miscellaneous power plant equipment that are grouped  
15 together for each individual facility. This definition  
16 makes it even more clear that plants are locationally  
17 comprehensive. That they typically include generators,  
18 turbines, and ancillary equipment, as well as property  
19 and land use permits at one site.

20 The Arizona Corporation Commission's own  
21 usage of the word "plant" to refer to an entire facility  
22 that includes multiple gas-fired turbines, illustrate  
23 plant's common sense meaning. Decision 63552, the Gila  
24 River CEC, declares, "Gila Bend Power Partners is  
25 authorized to construct a natural gas-fired



1 combined-cycle generating plant consisting of three  
2 combustion gas turbines and one steam turbine, producing  
3 a nominal 845 megawatts. This language makes clear that  
4 multiple turbines and ancillary facilities, together,  
5 make up a plant for the purpose of the CEC.

6           The Commission uses similarly inclusive  
7 language in Decisions referencing BMGS itself. Decision  
8 70186 describes BMGS as a, "90-megawatt simple-cycle  
9 gas-fired electric generating station." The description  
10 is singular, with no language suggesting that BMGS is  
11 actually two plants. Evidence from this morning -- from  
12 yesterday's hearing further illustrates that BMGS is one  
13 plant, and that the proposed expansion would be as well.

14           In its 2023 IRP, UNS describes BMGS as a  
15 single plant, consisting of two units that are  
16 90 megawatts in total. In another regulatory and  
17 permitting setting, UNS describes BMGS as one plant.  
18 UNS's air permit application covers both existing units  
19 and the Arizona Department of Environmental Quality  
20 issued a single air permit for the entire BMGS plant.

21           As to the proposed expansion, UNS says it  
22 plans to submit a single air permit to cover the four new  
23 turbines. For final reporting requirements, as we've  
24 heard, UNS submits a single Form EIA-860. That covers  
25 both turbines at BMGS as a single plant with one plant

1 code. As to their proposed expansion, UNS plans to  
2 report all four new turbines, again, on one Form EIA-860  
3 as a single plant.

4 Turning, finally, to argument three,  
5 Committee precedent and plant siting precedent from other  
6 states shows that individual units part of a larger build  
7 are not regulated as separate plants, but rather, as part  
8 of a single thermal generating unit or plant. After the  
9 Line Siting Statute's passage in 1971, Arizona -- Arizona  
10 utilities have routinely obtained CECs for projects that  
11 include multiple units that cumulatively surpass 100  
12 megawatts of nameplate capacity.

13 In 2008, a CEC was obtained for the  
14 Coolidge Generating Station, a project consisting of 12,  
15 48-megawatt units. In 2023, SRP again obtained a CEC for  
16 an expansion in Coolidge that included 12, 51-megawatt  
17 units. BMGS is a directly analogous situation to the  
18 Coolidge expansion, as it is a 100-megawatt-plus  
19 expansion, consisting of multiple about 50-megawatt  
20 units.

21 In fact, as we've heard today, the Coolidge  
22 expansion includes the exact same brand of gas-fired  
23 turbines as UNS proposes to use in BMGS, the LM6000. And  
24 there are other examples. In 2001, APS obtained a CEC to  
25 construct the Sundance Generating Station, a project with

1 10, 45-megawatt units. And in 2018, TEP obtained a CEC  
2 to construct 10, 20-megawatt RICE units. UNS asserts  
3 that the cumulative nameplate capacity of the two  
4 existing units at BMGS is 121 megawatts, and argues that  
5 because a CEC was not obtained during initial  
6 construction, no CEC should be obtained here, where  
7 project capacity would be 200 megawatts.

8           There are two major issues with UNS's  
9 argument: First, UNS's assertion that BMGS was  
10 constructed with the nameplate capacity of more than 100  
11 megawatts and without a CEC is not evidence that no CEC  
12 is required. Rather, it is evidence that BMGS was  
13 constructed in violation of the Siting Statute, and it  
14 has been operating illegally ever since. Indeed, no  
15 disclaimer of jurisdiction was obtained for the  
16 construction of BMGS in 2008, nor has the Line Siting  
17 Committee said anything about BMGS being exempt from the  
18 CEC requirement.

19           Second, UNS's assertion is based on  
20 unsupported claims. UNS submitted evidence that the  
21 generators at BMGS had nameplate ratings of 61 megawatts,  
22 but as illustrated through testimony yesterday and today,  
23 generators are distinct from units. A unit's nameplate  
24 capacity depends on a combination of the turbine, the  
25 generator, and ancillary equipment. UNS submitted no

1 evidence regarding the nameplate capacity of the existing  
2 turbines. And UNS itself has made confusing statements  
3 in its application, IRP, and air permit applications that  
4 BMGS has a combined capacity of 90 megawatts, less than  
5 the 100-megawatt threshold.

6 UNS then points to three Commission  
7 Decisions that acknowledge the existence of BMGS, and  
8 then argues that those Decisions mean that the Commission  
9 implicitly recognized the plant to not need a CEC. But  
10 two of those Decisions, 70186 and 71914, as the Chairman  
11 said earlier, described BMGS as a 90-megawatt plant,  
12 below the CEC threshold, and none of the Decisions  
13 described BMGS as a 121-megawatt plant.

14 So why would the Commission have asked UNS  
15 to apply for a CEC, when UNS was representing to the  
16 Commission that BMGS was a 90-megawatt plant, and  
17 indicating nowhere in front of the Commission that  
18 90 megawatts was, in fact, the operating capacity, and  
19 that 121 megawatts was the nameplate capacity of BMGS?  
20 While no utility has ever requested disclaimer of  
21 jurisdiction for the construction of a greater than  
22 100-megawatt plant made up of multiple sub-100-megawatt  
23 units, Staff, curiously, has weighed in on this question  
24 before, directly contradicting their letter moved into  
25 evidence yesterday.

1                   In 2007, Northern Arizona Energy, LLC,  
2 applied for a CEC for its Griffith Plant, because of a  
3 business transaction, they stated that they're applying  
4 for a CEC, quote, because of future ownership financing  
5 regs. Staff took issue with this, as they believed that  
6 Northern Arizona Energy also had to apply for a CEC  
7 because they're proposing to build 45 -- four 45-megawatt  
8 units as part of a 175-megawatt expansion, a directly  
9 analogous situation to the BMGS expansion.

10                   Maureen Scott, Staff attorney, wrote in a  
11 2007 filing regarding the Griffith expansion, which is  
12 Sierra Club Exhibit SC-34, quote, at first impression the  
13 definition of plant that refers to each separate unit  
14 taken out of the context of the circumstances of this  
15 case may appear to preclude siting jurisdiction, because  
16 each generating unit, considered separately, is less than  
17 100 megawatts. The problem with that interpretation, it  
18 ignores the facts in the evidentiary record that  
19 demonstrate that the four simple-cycle gas-fired  
20 generating units, as a whole, provide more than  
21 100 megawatts of electric power to wholesale load. This  
22 interpretation also ignores the unique facts of this  
23 case. The four simple-cycle gas-fired generating units  
24 considered together could be viewed as an addition to the  
25 existing Griffith plant.

1           Staff goes on, quote, in light of the  
2 purpose of the siting statute, it appears that the  
3 circumstance of this matter compelled jurisdiction to  
4 consider the application under ARS 40-360. To do  
5 otherwise would not appropriately recognize the public  
6 interest at stake in these proceedings and the close  
7 nexus to the Griffith Plant.

8           And Staff spoke specifically to the  
9 importance of environmental review over expansions larger  
10 than 100 megawatts. Quote, the addition of 175-megawatt  
11 facilities may well change that balance and an applicant  
12 should not be in the position to unilaterally make the  
13 decision to alter an existing CEC without Committee  
14 consideration and Commission review and approval.

15           Decision Number 70108, which is Exhibit  
16 SC-33 followed Staff's position, granting a CEC, quote,  
17 authorizing construction of a nominal 175-megawatt  
18 natural gas-fired simple-cycle generating facility that,  
19 quote, shall comprise no more than four individual  
20 simple-cycle and natural gas combustion turbine generator  
21 units, each having nominal capacity of approximately  
22 45 megawatts. Notably, the Arizona Line Siting Statute  
23 remains unchanged since Staff proffered this opinion in  
24 2007.

25           Leaving Arizona for a second, a review of

1 plant siting statutes in other states reveals that  
2 megawatt thresholds are typically applied to the  
3 collective megawatt capacity of gas-fired turbines part  
4 of one build. New Jersey, for example, requires  
5 environmental certification for electric facilities over  
6 100 megawatts. Courts find New Jersey's statute applies  
7 to, quote, to the construction of new plant producing 100  
8 megawatts or more. And a review of New Jersey  
9 certifications reveals that projects with turbines less  
10 than 100 megawatts, or a total project size greater than  
11 100 megawatts, apply for and receive environmental  
12 certification. The same as the case in Florida, which  
13 requires environmental certification for projects that  
14 generate over 75 megawatts.

15 Iowa, Ohio, Montana, Minnesota, North  
16 Dakota, and Wisconsin, among other states, have 25- to  
17 100-megawatt thresholds for power plant siting, and in  
18 each of these states, those consisting of units that are  
19 below the threshold, but that together exceed the  
20 threshold, are subject to environmental review and they  
21 obtain certifications.

22 In the face of this evidence, as you just  
23 heard, UNS attempts to contrast Arizona's Line Siting  
24 Statute with Minnesota and Iowa's siting statutes,  
25 claiming that Arizona's law is unique, because it does

1 not explicitly include language about combining units to  
2 meet the megawatt threshold, while Minnesota and Iowa  
3 statutes do.

4           There are two major flaws with UNS's  
5 argument: First, the Arizona Line Siting Statute  
6 expresses the same principle as the Minnesota and Iowa  
7 statutes, but in the negative rather than in the  
8 affirmative. While Minnesota and Iowa say that a  
9 combination of units at one site are plants, Arizona says  
10 that a plant must be a separate generating unit. This  
11 language has the exact same effect, only generating units  
12 that are detached and disconnected from other units are  
13 plants under Arizona statute. The same is true for  
14 Minnesota and Iowa's.

15           Second, many other state statutes that  
16 treat connected generating units as one plant or facility  
17 are also silent on combination, like Arizona. Wisconsin  
18 is one such example, where the siting statute applies to,  
19 quote, electric generating equipment and associated  
20 facilities designed for nominal operation at a capacity  
21 of 100 megawatts or more.

22           In conclusion, the plain language of the  
23 Line Site Statute and the legislature's express  
24 declaration of policy, demonstrate that power plant  
25 expansions with a total capacity of over 100 megawatts,



1 like BMGS, are subject to the Committee's jurisdiction  
2 and require a CEC. Other relevant factors, including CEC  
3 precedent, CEC descriptions of BMGS, and UNS's own  
4 admissions regarding the expansion, also require treating  
5 the four proposed units at BMGS as one plant. Adopting  
6 UNS's interpretation of the Line Siting Statute would  
7 defeat the legislature's intent and eliminate the  
8 Committee's power to assess environmental impacts of new  
9 thermal power plants, gutting the CEC review process in  
10 the age of gas peakers.

11 We ask the Committee to reject UNS's  
12 interpretation of the Line Siting Statute, to reject  
13 UNS's application for disclaimer of jurisdiction, and to  
14 require that UNS apply for a CEC for this project. Thank  
15 you for your time.

16 CHMN STAFFORD: Thank you, Mr. Shrinath.  
17 We've been going for about 90 minutes. I believe the  
18 court reporter needs a break. Let's take a 10- to  
19 15-minute recess, and then we'll come back with Committee  
20 questions for Mr. Shrinath.

21 We stand in recess.

22 (Recessed from 3:11 p.m. until 3:31 p.m.)

23 CHMN STAFFORD: All right. Let's go back  
24 on the record. We had stopped with Sierra Club's oral  
25 argument. Are there any questions from Committee

1 members?

2 (No response.)

3 CHMN STAFFORD: Hearing none, we'll move on  
4 to ArISEIA. I'd like to remind everyone that it's later  
5 in the day, and it's -- the court reporter's been going  
6 all day, so if you can make an effort to speak more  
7 slowly to help her take down an accurate record, that  
8 would be very much appreciated.

9 With that, ArISEIA, please proceed.

10 MS. JOHNSON: Chairman and Members, Autumn  
11 Johnson on behalf of ArISEIA. Before I begin my  
12 pre-prepared remarks, I would just like to make sure that  
13 everyone has seen that we did file a response to  
14 Commissioner Tovar's letter that was filed last Thursday,  
15 on April 18th. UNSE's counsel referenced some components  
16 of that letter, I think inaccurately, and so I'll address  
17 those briefly.

18 First, we have never asserted and do not  
19 assert that PURPA was enacted before the Line Siting  
20 Statutes. We also do not -- we also do not -- I'm  
21 getting hand signals over there, okay, noted. We do not  
22 assert that PURPA supersedes state law is simply  
23 persuasive, not controlling evidence.

24 Additionally, the IRP rulemaking  
25 Administrative Code has been mentioned several times. I

1 would just like to point out that that R14-27-01 was not  
2 enacted prior to the Line Siting Statutes. You will not  
3 find reference to that in UNSE's application, in any of  
4 their exhibits, or in their response to Commissioner  
5 Tovar. It's also important to note that the Corporation  
6 Commission Staff is currently undergoing five-year rule  
7 reviews, and the IRP rules are one of those. And that is  
8 moving into a new rulemaking, because everyone agrees it  
9 is outdated and it needs to be updated.

10 I also would like to point out that they  
11 testified yesterday that the Administrative Code does not  
12 trump statutes in Arizona, or anywhere else, for that  
13 matter. And I would also just like to point out that,  
14 again, we know what ARS 40-360 subsection 9 says, it does  
15 not say "solar," it does not say "wind," they testified  
16 to that yesterday. I am unclear why they continue to  
17 bring that up. They also testified to the fact that we  
18 are not at the legislature, and no one is arguing for a  
19 change in the statute.

20 Finally, I'd like to point out that the  
21 novel interpretation of the statute that they are asking  
22 for would have been more appropriately asked for 16 years  
23 ago, when they began operating a plant in violation of  
24 the law. With that, I'll move into my remarks, and I  
25 will make every effort to slow down.

1                   When interpreting statutes, Arizona courts  
2 will interpret the relevant language in view of the  
3 entire text. When a statute is clear and unambiguous,  
4 courts apply its plain language in interpreting its  
5 provisions. Arizona courts primarily rely on the  
6 language of the statute and interpret the terms according  
7 to their common meaning. They apply a  
8 "practical and commonsensical construction, and will  
9 avoid an interpretation that makes any language  
10 superfluous or redundant." Hence, words and phrases in a  
11 statute are given their ordinary meaning, "unless it  
12 appears from the context of the statute that a different  
13 meaning is intended."

14                   When a statute fails to define a statutory  
15 term or when a provision is susceptible to more than one  
16 interpretation "courts will consider legislative intent  
17 and policy, the common law understanding of the statute's  
18 terms, technical meanings, and prior judicial Decisions."  
19 The Court will adopt the "interpretation that is most  
20 harmonious with the statutory scheme and legislative  
21 purpose." Ultimately, the Court may consider "factors  
22 such as the statute's context, subject matter, historical  
23 background, effects and consequences, and the spirit and  
24 purpose," to determine legislative intent of a statute of  
25 which the language is unclear.

1           ARS 40-360 was added to Arizona's legal  
2 framework in 1971. The session laws for this statute  
3 recognize the "growing need for electric service, which  
4 will require the construction of major new facilities."  
5 The legislature asserted that it was in the "public  
6 interest to minimize any adverse effect upon the  
7 environment and upon the quality of life of the people of  
8 the state which such new facilities might cause." The  
9 purpose of this statute is to "provide a single forum for  
10 the expeditious resolution of all matters concerning the  
11 location of electric generating plants and transmission  
12 lines in a single proceeding to which access will be open  
13 to interested and affected individual groups, to enable  
14 them to participate in these decisions." It is extremely  
15 unlikely that the legislature meant to exclude large  
16 expansion projects from the meaning of major new  
17 facilities.

18           Under the original statute "plant" means,  
19 "Each separate thermal electric, nuclear, or  
20 hydroelectric generating unit with a nameplate rating of  
21 100 megawatts or more." To Member Gold's point  
22 yesterday, it does not matter when the plant is  
23 constructed, so long as it is constructed after 1971.  
24 You cannot lawfully build a 99-megawatt plant this year,  
25 and add 99 megawatts next year, escaping Line Siting

1 jurisdiction. ARS 40-360 was amended in 2001 with House  
2 Bill 2040. The statute now requires an entity planning  
3 construction of a power plant in Arizona, to submit a  
4 plan to the ACC detailing certain information and provide  
5 compensation to certain members of the Power Plant and  
6 Transmission Line Siting Committee. It also requires  
7 utility companies to "submit a plan outlining the  
8 proposed power facilities 90 days prior to filing an  
9 application for a Certificate of Environmental  
10 Compatibility." It did not affect the definition of  
11 plant, other than to establish an effective date of  
12 August 13th, 1971.

13 In its Fifth Biennial Transmission  
14 Assessment, the ACC Utilities Division said, "Every  
15 entity considering construction of a new power plant or  
16 generation project of 100 megawatts or greater within  
17 Arizona is required to file a plan with the Commission  
18 90 days before filing an application for Certificate of  
19 Environmental Compatibility." On page 7, the Utilities  
20 Division used "power plant" in the sentence, but they  
21 used "generation project," with the same language on  
22 page 43. This suggests a power plant and generation  
23 project are interchangeable and, therefore, the  
24 100-megawatt threshold was intended to apply to entire  
25 projects, not individual units.

1           Additionally, the bulk of my work involves  
2 interacting with elected policymakers. They have hard  
3 jobs that cover many subject matters. I think what we've  
4 seen at the legislature just yesterday is indicative of  
5 that. This session I found myself explaining the  
6 difference between a substation and a switchyard for  
7 HB 2002. It is wildly improbable that the legislature  
8 was making a subtle distinction that differentiated  
9 between generators, turbines, and plants when they  
10 enacted ARS 40-360. The most logical conclusion is that  
11 the legislature meant "plant" to mean exactly that. But  
12 even if they did, Sierra Club and WRA have demonstrated  
13 that Black Mountain's units are one integrated generating  
14 unit, and they are not separate units.

15           In Decision Number 76638, the ACC reviewed  
16 TEP's RICE project, which consisted of 10 natural  
17 gas-powered units producing 20 megawatts each, for  
18 200 megawatts total. TEP performed a CEC for this  
19 project due to its size. In Decision Number 79020, the  
20 ACC approved and amended the Certificate of Environmental  
21 Compatibility for SRP's Coolidge Expansion Plan. The  
22 project originally consisted of 16 new, quote, individual  
23 simple-cycle combustion turbine generator units, each  
24 producing up to 51.25 megawatts, for a total of 820  
25 megawatts. That was approved for 12 units. This

1 represents two recent cases where the ACC entertained CEC  
2 applications from applicants seeking to build a project  
3 with a cumulative capacity in excess of 100 megawatts,  
4 even though each individual turbine included as part of  
5 the project was under 100 megawatts.

6 In their Line Siting application, UNSE  
7 mentions several ACC Decisions to say that the Commission  
8 had many chances to suggest that a CEC should be  
9 performed in similar circumstances; however, in Decision  
10 70186, the Commission was approving the sale of a  
11 generation station between two utilities. At the time,  
12 the generation station had not been built, but was  
13 described in the Decision as two units, each producing  
14 45 megawatts. As such, ARS 40-360, would not have  
15 applied.

16 Decisions 71914 and 72213 were rate cases,  
17 in which UNSE did not suggest their plan to expand the  
18 plant to be above the 100-megawatt threshold. In none of  
19 the Decisions presented by UNSE did the Commission  
20 determine that a CEC is not required for separate units  
21 generating under 100 megawatts. And, in fact, UNSE never  
22 disclosed that the plant was actually 122 megawatts.

23 In Staff Exhibit 1, the ACC Staff's  
24 response to Commissioner Tovar's letter, they agree with  
25 UNSE's novel interpretation of the law. This is in



1 direct contradiction to their brief in Docket Number  
2 L-00000FF-07013-00133, which is the Northern Arizona  
3 Energy, LLC, CEC docket. In that brief, docketed  
4 October 3rd, 2007, Ms. Scott argued that a plant with  
5 four simple-cycle gas-fired generating units,  
6 45 megawatts each, for a total capacity in excess of  
7 100 megawatts, needed a CEC because the plant, quote, as  
8 a whole, provided more than 100 megawatts of electric  
9 power to the wholesale load. In SRP's Coolidge CEC,  
10 Staff specifically suggested CEC requirements the  
11 Commission should impose, despite the fact that those are  
12 the exact same turbines at issue today. The statutory  
13 language has not changed. And I include that letter with  
14 my response to Commissioner Tovar, on April 18th, as  
15 Attachment A.

16 On its website UNSE says, quote, under  
17 Arizona law individual generating units under  
18 100 megawatts do not require a Certificate of  
19 Environmental Compatibility. The two existing natural --  
20 45-megawatt natural gas units at Black Mountain were  
21 constructed without a CEC, because the capacity of each  
22 is below the 100-megawatt threshold. However, two  
23 45-megawatt units results in a 90-megawatt power plant  
24 and not 100.

25 SWCA consultants published a primer in 2020

1 which said that the Line Siting Committee provides a  
2 forum to build "thermal generating facilities of  
3 100 megawatts or more." The use of the word "facilities"  
4 suggests that projects which include multiple units are  
5 included in the definition of "plant," or that  
6 facilities, as a whole, exceeding 100 megawatts are  
7 included under the statute. Indeed, any other  
8 interpretation would violate the rules of statutory  
9 interpretation I mentioned earlier.

10           You must employ a practical and  
11 commonsensical construction that will avoid an  
12 interpretation that makes any language superfluous or  
13 redundant, and that is most harmonious with the statutory  
14 scheme and legislative purpose. Interpreting the statute  
15 in a way that renders half your work obsolete and would  
16 require review of a plant with one turbine at 100  
17 megawatts, but not review of a plant with 10, 99-megawatt  
18 turbines, would violate both of those rules.

19           UNSE could barely answer questions  
20 yesterday, because they were competing in the semantic  
21 Olympics and had trouble responding to anything, because  
22 the plain meaning of words like "connected," threatened  
23 their argument. Additionally, AEPCO, who gave public  
24 comment yesterday, is evidence of the point that  
25 disclaiming jurisdiction here will open the floodgates to

1 other utilities to do the same thing. And then there  
2 will no longer be state-level review of the total  
3 environment of other thermal power plants going forward.  
4 And I'd also like to note that Ms. Grabel also represents  
5 many cooperatives.

6 Finally, the burden should be on the  
7 applicant to substantiate their claim as to the  
8 interpretation of ARS 40-360, subsection 9, and they have  
9 provided no evidence that the legislature intended what  
10 they claim, based on the policy statement or that this  
11 Committee has ever interpreted it similarly. They cannot  
12 even substantiate that the Company itself ever  
13 interpreted it similarly. What they have proven is that  
14 they are knowingly violating Arizona law by running a  
15 122-megawatt thermal plant with no CEC and no disclaimer,  
16 in violation of ARS 40-360.07(A), and they've been doing  
17 that for nearly two decades.

18 The Company's letter to Commissioner Tovar  
19 also confirms this. In that letter, filed just this  
20 Tuesday, they say, "Notably the current station never  
21 requested nor received a Certificate of Environmental  
22 Compatibility, providing an important precedent for this  
23 disclaimer application." And then they sat here  
24 yesterday with a straight face and they said that they  
25 have never said there was a precedent; they're simply

1 asking a question. A question that couldn't be bothered  
2 to ask for the last 16 years, and that their sister  
3 company couldn't be bothered to ask when they built the  
4 plant.

5           UniSource Energy is wholly owned by Fortis,  
6 and it owns 100 percent of TEP, UNSE, and the Company  
7 discussed yesterday, UniSource Energy Development, UED,  
8 the company that built Black Mountain Generating Station.  
9 UED is a registered corporation with the ACC. Its entity  
10 number is 09784078. It has the same business office as  
11 TEP. And Susan Gray, the CEO of TEP, is its president.  
12 It is bad faith to argue that UNSE doesn't know why UED  
13 built the plant and never got a CEC or disclaimed  
14 jurisdiction. And this is the same company that says,  
15 without a hint of irony, that we should take their word  
16 for the fact that they will do the right thing, even if  
17 they aren't required to.

18           Therefore, ArISEIA has filed a written  
19 complaint in this docket under ARS 40-246(A), and if we  
20 need to file a separate complaint, we will do that, if so  
21 directed. UNSE is a public service corporation, and they  
22 are in violation of the law. ArISEIA notes that not only  
23 should the Company deny -- or should the Committee deny  
24 the disclaimer of jurisdiction, but UNSE must be required  
25 to obtain a CEC for the existing plant. And UNSE must be

1 held accountable for knowingly breaking the law for the  
2 last two decades.

3 Thank you.

4 CHMN STAFFORD: Any questions for ArISEIA  
5 from the Committee?

6 (No response.)

7 CHMN STAFFORD: All right. WRA.

8 MS. DOERFLER: Thank you. I will get this  
9 real close, and I promise to speak extremely slowly --  
10 well, maybe not extremely slowly, because we would all  
11 like to leave at some point today.

12 Good afternoon, ladies and gentlemen of the  
13 Committee. Others before me have already provided you  
14 with the background of why we are all here today. The  
15 decision this Committee will make in this matter will be  
16 one that has far-reaching and, arguably, as yet  
17 unforeseen consequences for the people of Arizona and the  
18 environment that sustains them. I hope that you have  
19 kept these very real consequences in mind during this  
20 proceeding, and continue to do so while you make your  
21 decision.

22 If this Committee were to disclaim  
23 jurisdiction over Black Mountain Generating Station and  
24 facilities like it, the decision will have a detrimental  
25 effect on Arizona's people, environment, and its

1 utilities. Certificates of Environmental Compatibility,  
2 or CECs, are purposed with balancing the need for  
3 additional transmission and generation with the damage  
4 that these projects inevitably incur to the surrounding  
5 community and wildlife. CECs address a community's  
6 concerns with land use conflicts, noise levels, and the  
7 possible damage to historic and scenic sites, which can  
8 affect local economies. Further, CECs address technical  
9 and practical aspects of a utility's plan and the cost of  
10 that plan to customers.

11 A CEC even provides protections to a  
12 utility's investment. Contrary to statements recently  
13 made in an op-ed published by UNSE's management, getting  
14 rid of the CEC process for peaker plants will not  
15 eliminate inefficiency in the process of building  
16 large-scale utility projects. Projects like the one in  
17 debate here are easily disrupted when community members  
18 affected by the installation of a large project are  
19 prevented from having their voices heard and compromises  
20 are, as a result, never discussed, discovered, or  
21 explored. Problem-solving before a project starts is not  
22 only not a waste of time, as this op-ed seems to imply,  
23 but it is actually necessary to avoid issues with the  
24 public down the line, when problems can no longer be  
25 remediated before damage is actually done.

1                   It is also of vital importance that  
2 utilities have the opportunity to hear from the  
3 perspectives of those on this Committee. You all  
4 represent diverse and consequential interests that can be  
5 affected by the build-out of large energy projects. And  
6 those interests should be represented in a utilities  
7 plan. UNSE has accused the intervenors involved in this  
8 case of hyperbole for their claims that the Committee's  
9 adoption of this novel interpretation of 40-360.09 would  
10 strip these protections from all peaker plants in Arizona  
11 moving forward.

12                   To highlight the breadth of this issue, one  
13 need only look to the proposed expansion of Redhawk  
14 Generating Station. If UNSE's petition is granted here  
15 today, then APS may legally be permitted to build eight  
16 new turbines, 379 megawatts of new generation at its  
17 facility without ever having to engage with the  
18 surrounding community to balance its proposal with public  
19 health and environmental concerns in a proceeding like  
20 this. Under this interpretation, a utility in Arizona  
21 could potentially build a brand-new 12-turbine facility  
22 without ever having to balance the need of that plan with  
23 the Committee -- communities that will no doubt be  
24 affected.

25                   At the heart of this matter is Arizona's

1 definition of the term "plant." As you have heard many  
2 times today, ARS 40-360.09 defines "plant" as "Each  
3 separate thermal electric, nuclear, or hydroelectric  
4 generating unit with a nameplate rating of 100 megawatts  
5 or more." UNSE's petition asks this Committee to make a  
6 drastic departure from historic application of the term  
7 "plant," and reach a conclusion that is inconsistent with  
8 the rules of statutory interpretation. It should be  
9 rejected. The Power Plant and Line Siting Committee has  
10 used this ordinary and common understanding of the term  
11 "plant" for decades to fulfill its duties. It is  
12 implausible that Committee members in the last five  
13 decades have not looked at, read, or understood the  
14 meaning of the words in these statutes. This is exactly  
15 what UNSE has implied over the course of this case.

16 UNSE's legal argument suffers from two  
17 insurmountable flaws: First, UNSE has misunderstood and  
18 misapplied the meaning of the term "generating unit";  
19 Second, UNSE has incorrectly claimed that the four  
20 proposed units at Black Mountain Generating Station will  
21 be separate from one another and from the generating unit  
22 which encompasses most of the equipment at the facility.

23 If UNSE has failed to convince you today  
24 that the term "generating unit" and "unit" are the same,  
25 then you must reject UNSE's attempt to disclaim



1 jurisdiction here today. If UNSE has failed to -- sorry,  
2 lost my spot -- if UNSE has failed to prove that the  
3 generating unit at Black Mountain is separate, then you  
4 must reject UNSE's attempt to disclaim jurisdiction.  
5 This Committee must be convinced of both of these  
6 assertions by UNSE in order to disclaim jurisdiction for  
7 this facility. This is a high burden that UNSE has not  
8 met.

9           First, I will discuss why this Committee  
10 cannot be certain that a generating unit is the same as a  
11 generator turbine set or unit after today's proceeding.  
12 In its application, UNSE directs this Committee to apply  
13 plain language of the statute of its interpretation.  
14 Arizona statute states that words and phrases shall be  
15 construed according to the common and approved use of the  
16 language. The words in this statute should be  
17 interpreted using their ordinary meaning. That ordinary  
18 meaning of a word is not, however, always what is located  
19 in a dictionary. The term "generating unit" is a term of  
20 art, meaning its definition is one that should be  
21 commonly understood in the relevant industry, which uses  
22 the term. This is supported in Arizona law by the  
23 Supreme Court case DBT Yuma, LLC v. Yuma County Airport  
24 Authority, which states that terms of art cannot be  
25 defined using a dictionary definition. And, further,

1 that statutory words should be viewed -- should not be  
2 viewed in isolation. Instead, the meaning of statutory  
3 words should be drawn from the context in which they are  
4 used.

5 In the case of the term "generating unit,"  
6 the relevant industry and context here is electrical  
7 engineering. The standard definitions of terminology  
8 adopted by the Institute of Electrical and Electronics  
9 Engineers, an undisputed and reliable source of knowledge  
10 on electrical engineering, is explicit that a generating  
11 unit is generally all equipment from the resource supply  
12 system up to the high-voltage terminals of the generator  
13 step-up transformer and the station service transformers.

14 UNSE has not offered sufficient evidence to  
15 contradict this definition. It has also been  
16 demonstrated that the definition for the term  
17 "generating unit" is distinct from the term "unit,"  
18 another term of art that UNSE has cited a largely  
19 irrelevant dictionary definition for in its application.

20 UNSE has offered two definitions here today  
21 and yesterday that it claims contradicts the definition  
22 of "generating unit" provided by IEEE and Dr. Routhier.  
23 As Dr. Routhier has stated at multiple points, neither  
24 the EIA definition, which speaks to physically connected  
25 equipment, or the definition provided in Arizona's

1 Administrative Code, which includes sets of devices,  
2 would preclude you from using the IEEE Standard in  
3 understanding the terms of this statute.

4 Now, even if UNSE has convinced you that  
5 the definition of "generating station" -- the definition  
6 of "generating unit" in an Administrative Code article  
7 completely unrelated to the Certificate of Environmental  
8 Compatibility process contradicts the definition adopted  
9 by IEEE, UNSE has not proven that the equipment at Black  
10 Mountain Generating Station is separate. The word  
11 "separate," in contrast to the term "generating unit," is  
12 not a term of art in the electric utility industry, and  
13 therefore, a dictionary definition should apply.

14 According to Black Law's Dictionary, the  
15 term "separate," for example, should be clearly to  
16 be -- it should be clearly understood to mean individual,  
17 distinct, particular, or disconnected. To be successful  
18 in its claims, UNSE must assert that the generating unit,  
19 a term which encompasses all equipment at Black Mountain  
20 Generating Station, including its four units or  
21 generating pairs, its resource supply, and its generator  
22 step-up transformers, and station services transformers,  
23 is somehow separate from itself. This is clearly a  
24 logical impossibility. It has also been demonstrated by  
25 testimony and exhibits that this is a factually incorrect

1 assertion. Regardless of whether one is referring to a  
2 generating unit or a unit at Black Mountain, this  
3 equipment is connected to auxiliary equipment which, in  
4 turn, connects the generator sets or units to one  
5 another.

6           The units at Black Mountain have been  
7 demonstrated to be connected via power control modules,  
8 generator step-up transformers, and power distribution  
9 centers. All four units have been demonstrated to be  
10 connected to one single cooling tower, one ammonia tank,  
11 one fuel gas coalescing skid, one raw water tank, one  
12 reverse osmosis building, one demineralized water tank,  
13 one air compressor, one raw forwarding pipe, one  
14 evaporation pond, and one well. With the detailed  
15 schematics exhibited in the current proceeding, which  
16 show exactly how the infrastructure of this unit -- these  
17 units are connected, UNSE has failed to contradict this  
18 fact, which is demonstrated by its witnesses' responses  
19 to Sierra Club's cross-examination. This is further  
20 evidence that you -- further evidence, when you consider  
21 that without this shared equipment Black Mountain  
22 Generating Station could not generate power to provide to  
23 the grid. And what other purpose does a generating  
24 station have?

25           UNSE has repeatedly asserted that its

1 interpretation of ARS 40-360 is not novel to this state,  
2 as the original 90-megawatt facility at Black Mountain  
3 does not currently have a CEC. And while this is indeed  
4 an interesting conundrum that this Committee should  
5 possibly investigate further, this case concerns the four  
6 proposed new units, not the existing equipment.

7 UNSE has also attempted to assert that the  
8 intervenors' inclusion in this case necessarily means  
9 that we are hypocrites. At no point in this proceeding  
10 has WRA stated our organization's policy regarding the  
11 inclusion of renewable energy plants or lack thereof in  
12 ARS 40-360.09. I would return UNSE's suggestion back to  
13 them, if they find this process unfair or the statute not  
14 comprehensive enough, the utility should speak to the  
15 legislature, not make the issue a legal argument in a  
16 proceeding wholly unrelated to a solar or wind farm.

17 In conclusion, UNSE's assertion must fail  
18 for two reasons: First, the term "generating unit" is  
19 distinct from the word "unit"; second, a generating unit  
20 is necessarily one that is connected to other pieces of  
21 equipment, according to multiple definitions, and  
22 therefore, is not separate. There is one single plant at  
23 Black Mountain, which will encompass all equipment at the  
24 facility, including its generating unit, its four  
25 generating turbine sets, and any other piece of connected

1 equipment. UNSE has failed today to prove anything to  
2 the contrary, or yesterday, I should say -- I wrote this  
3 when this was going to be a single proceeding.

4 As a result, this Committee can only  
5 rightfully conclude that it should not disclaim  
6 jurisdiction over Black Mountain or any similar peaker  
7 plant facility, therefore, WRA respectfully requests that  
8 this Committee keep the "power plant" in Arizona's Power  
9 Plant and Line Siting Committee by rejecting UNSE's  
10 petition.

11 CHMN STAFFORD: Thank you.

12 Any questions from members?

13 (No response.)

14 CHMN STAFFORD: All right. Thank you.

15 MEMBER MERCER: Mr. Chairman?

16 CHMN STAFFORD: Yes, Member Mercer.

17 MEMBER MERCER: I have some questions, just  
18 been thinking about some of the closing arguments. There  
19 has been a claim that UNSE has been breaking the law for  
20 more than two decades. Where -- my question is, where  
21 have you been in the last two decades? How come you  
22 haven't brought this up?

23 CHMN STAFFORD: I think I can answer that.  
24 I think -- I recall testimony earlier, because I think  
25 the first time that many people noticed that the

1 nameplate capacity of the existing plant was actually 61  
2 was when they filed this application. I think we talked  
3 about the prior Decisions where they address the purchase  
4 of this and the rate case for the rate basing of the  
5 existing plant. And they didn't talk about the  
6 nameplate, they talked about the net operating capacity,  
7 which is what they can actually produce as being 45 to  
8 48.

9                   So I don't think it occurred to anyone that  
10 it was a bigger than 90-megawatt plant, which even under  
11 the intervenors' definition of the -- interpretation of  
12 the statute would not require a CEC. I think it was  
13 the -- there was the lack of distinction between  
14 nameplate capacity and net operating capacity, which is  
15 typically what they focus on and not the nameplate. I  
16 think we've ran -- I think the record established that  
17 the nameplate capacity's relevant for this -- these  
18 proceedings for the jurisdiction of the Committee  
19 initially and to the EIA in this overall reporting.

20                   MS. JOHNSON: Chairman, may I also briefly  
21 respond?

22                   CHMN STAFFORD: No, at this time, this is a  
23 time for member questions.

24                   Does that answer your question? Or do you  
25 want to hear from them?

1 MEMBER MERCER: Kinda, sorta. I mean, it's  
2 semantics. You know, English is my second language, and  
3 I fully understand what the statute says. So that's all  
4 my comments.

5 MS. HILL: I'm sorry, Chairman Stafford, I  
6 just have to go on the record here. I appreciate what  
7 you said and I can understand why you might be theorizing  
8 that, but the Company has to at this point step in and  
9 say there are two things that I think are not in the  
10 record. And one of those is that we don't know what  
11 Staff knew or what the Commission knew. We know what  
12 they wrote about, but we don't know that they didn't know  
13 what the nameplate capacity was.

14 And I would actually suggest the facts and  
15 circumstances of them being all over that plant, as was  
16 evidenced in the engineering, indicates that they  
17 probably looked at the actual nameplate capacity. It  
18 just wasn't their big concern. But we don't know that.  
19 And so I don't want to have a record that says that they  
20 didn't know, because I don't think that's been  
21 established.

22 CHMN STAFFORD: Right. We don't know if  
23 they knew or not. What we do know and we did see in the  
24 record is that the nameplate capacity is not mentioned --

25 MS. HILL: That is correct.



1 CHMN STAFFORD: -- in any of those  
2 Decisions and in the report that was docketed  
3 December 12th --

4 MS. HILL: We agree with that -- I just  
5 want to --

6 (Cross-talk.)

7 THE REPORTER: Hold on.

8 CHMN STAFFORD: I'm not saying we know when  
9 we knew what. What we do know is that the references in  
10 those Decisions were not due to the nameplate capacity.

11 MS. HILL: So that's the first thing. And  
12 then the second thing is as a Company, I'm sorry, but I'm  
13 going to object to the "we failed to disclose" statement  
14 in Ms. Johnson's argument. It is dangerously close to  
15 accusing us of fraud, and there is zero evidence in the  
16 record of that.

17 CHMN STAFFORD: Noted.

18 All right. Any further questions from  
19 members?

20 (No response.)

21 CHMN STAFFORD: All right. Moving on to  
22 SWEEP.

23 MS. REYES: Good afternoon. Can you hear  
24 me all right? That sounds a little better.

25 Having heard the arguments throughout this

1 hearing, SWEEP supports the statutory interpretations  
2 presented by my fellow intervenor colleagues, and we will  
3 not offer repetitive arguments. I do have a few brief  
4 comments to consider, and I will keep them short, because  
5 I respect your time.

6 The legislature created the Line Siting  
7 Statutes, including the Certificate of Environmental  
8 Compatibility process, to ensure governmental oversight  
9 of major investments for power generation in the state.  
10 If jurisdiction is disclaimed, as UNS asks here, we run  
11 the risk of tying the hands of Arizona regulatory bodies,  
12 including this Committee, to perform their duty to the  
13 public to consider critical factors associated with the  
14 CEC, as required by state law.

15 In short, we would be left to accept that  
16 corporations are acting in the best interests of the  
17 state and its consumers. This is dangerous ground.  
18 While much of the focus here has been on environmental  
19 impact or land use concerns, the Line Siting Statutes  
20 actually require even more.

21 In particular, SWEEP is concerned with the  
22 potential for unnecessary cost to customers if companies  
23 can regularly get around the CEC process by disclaiming  
24 jurisdiction. Under ARS 40-360.06, subsection (A)(8),  
25 the estimated cost of facilities and site, must be

1 weighed with specific recognition that any significant  
2 increase in costs represents the potential of an increase  
3 in the cost of electric energy, including costs to the  
4 customers. This requires the Line Siting Committee to  
5 perform a thorough investigation of potential cost to  
6 customers, that it will not be able to do so if  
7 jurisdiction is disclaimed. Failure of the State to  
8 consider this important aspect of power plant  
9 construction or expansion has the potential to harm  
10 families by increasing energy bills and to slow economic  
11 development in the state, which relies on access to low  
12 cost and clean energy.

13           As we heard during this hearing,  
14 construction of new sources for power generation are very  
15 expensive -- is very expensive, and if jurisdiction is  
16 disclaimed, we are left to take the Company's word that  
17 their chosen method is the most cost-effective method to  
18 meet energy needs, all without the benefit of regulatory  
19 oversight. The Line Siting Committee's CEC process is  
20 one of the very few legal and regulatory proceedings an  
21 Arizona energy provider must obtain before a project is  
22 built.

23           In rate cases, the Arizona Corporation  
24 Commission can either allow or disallow historic costs  
25 made by the utility, including investments in electric

1 generation; however, determining prudence has significant  
2 challenges. Prudence is presumed, and to overcome this  
3 presumption there must be clear and convincing evidence.  
4 This is a high standard of evidence that is highly and  
5 substantially more likely to be true than untrue.

6           With such a high burden, it is common sense  
7 that a disallowance of historic costs is rarely done by  
8 the Commission. In Integrated Resource Plans, Commission  
9 rules only allow the Commission to acknowledge or not  
10 acknowledge a resource plan without requiring the utility  
11 to follow it. As such, if the Line Siting Committee's  
12 oversight authority is eroded, the door will be open to  
13 all but eliminate a regulatory oversight of numerous  
14 factors, including the cost to customers before a project  
15 is built.

16           Finally, as my other colleagues have  
17 mentioned, this is an issue that has implications  
18 reaching far beyond this particular proposal by UNS and  
19 could affect power plant construction throughout or  
20 expansion throughout our state.

21           Even if UNS does try to do its best by  
22 local customers, as UNS witness Mr. Bryner stated is a  
23 concern for the company, a finding to disclaim  
24 jurisdiction would have statewide significance. Will UNS  
25 always do its best by local communities? What about TEP?

1 APS? SRP?

2 For these reasons, as well as the legal  
3 arguments presented by my intervenor colleagues, SWEEP  
4 respectfully requests the Committee reject UNS's request  
5 for a disclaimer of jurisdiction and require the Company  
6 to proceed with a formal CEC proceeding. Thank you.

7 CHMN STAFFORD: Any questions from the  
8 members?

9 (No response.)

10 CHMN STAFFORD: Thank you.

11 Up next, Commission Staff.

12 MS. SCOTT: Good afternoon, Chairman and  
13 Committee members. I want to start out by commending the  
14 applicant, UNSE, and its team, as well as the other  
15 parties for the excellent job they have all done in  
16 developing a thorough and comprehensive record on the  
17 issues raised in this application.

18 Our legal analysis, as you know, is set  
19 forth in Staff Exhibit 1, so I'm not going to repeat all  
20 the rules of statutory construction. This will be a  
21 short presentation. The Staff continues to believe that  
22 the four units individually and their separate nameplate  
23 capacities are to be looked at separately as to whether  
24 the threshold of the 100 megawatts is needed or met for  
25 Committee and Commission jurisdiction. There was a lot

1 of discussion, however, over the last two days as to  
2 whether the term "separate," as used in the statute, what  
3 that meant in this context, and whether the units were  
4 actually separate units and were operating as separate  
5 units.

6 As one of the UNSE witnesses testified,  
7 this issue can be very fact-dependent and is. I think we  
8 all found that out over the course of these two days. We  
9 had the opportunity to consult our subject matter expert,  
10 who is the chief engineer here, he has been listening to  
11 the testimony in this proceeding. He did not hear  
12 anything over the course of the last two days that would  
13 indicate that these should not be considered as separate  
14 units or that the megawatt nameplate capacity for each  
15 unit should be aggregated for purposes of determining  
16 whether the threshold has been met. It's his opinion  
17 that these are separate units and operating as such. And  
18 again, this is a very fact-intensive determination. So  
19 I, myself, don't feel it would create a loophole that  
20 other companies could utilize in evading the statute,  
21 because their facts may be much different than  
22 this -- the facts in this case.

23 In the end, after consideration of the  
24 testimony presented, Staff stands by its original  
25 conclusion, as contained in its April 16th, 2024, letter.

1 Staff also does not believe the Company in any way in  
2 utilizing four 50-megawatt-capacity generating units did  
3 that in an effort to subvert the statute. We believe  
4 that if a larger plant was called for, the Company would  
5 have proposed that. And I agree with those others who  
6 have stated much of what is being debated here is a  
7 policy issue and is in the hands of the Arizona  
8 legislature.

9 Thank you.

10 MS. REYES: Mr. Chairman, we would like to  
11 object to the issue of statements by a person who was not  
12 able to be cross-examined. She mentioned the chief  
13 engineer for the Staff. We weren't even aware that he  
14 was a member to this proceeding, and no one was able to  
15 have any cross-examination of him. Also, we already  
16 concluded our factual portion of this case.

17 CHMN STAFFORD: So noted. You've preserved  
18 the issue for appeal.

19 MS. REYES. Thank you, Mr. Chairman.

20 CHMN STAFFORD: Members, I believe that  
21 Member Gold had questions for this -- for this party.

22 MEMBER GOLD: Yes.

23 Ms. Scott, are you there?

24 MS. SCOTT: Yes.

25 MEMBER GOLD: Can you hear me? I have two

1 documents here, your Exhibit Number 1 and Exhibit SC  
2 Number 34, dated October 3rd, 2007. Both have your  
3 signature on them.

4 Are you familiar with both documents?

5 MS. SCOTT: I am. I'm more familiar with  
6 the more recent one. I have to say the other one was  
7 17 years ago, so I don't --

8 THE REPORTER: Please don't touch the  
9 microphone.

10 MEMBER GOLD: Oh, sorry about that.

11 Please continue.

12 MS. SCOTT: So I don't recollect offhand  
13 all of the underlying facts in the older document.

14 MEMBER GOLD: Well, here's my question: In  
15 the older document, it says, at the request of the  
16 sitting Commission, the legal division submits this brief  
17 to address two questions raised in the course of these  
18 proceedings. Does ARS 40-360, et sequence, provide  
19 jurisdiction over the above-captioned application? And,  
20 number two, does the sitting Committee have authority to  
21 make recommendations and findings as to a need for a  
22 project? The answer, "the short answer," and I quote,  
23 "to both is yes."

24 But in the document that's 1, dated April  
25 24, 2024, you come up with a different conclusion, and



1 say the answer is basically no, pending what we hear at  
2 this Committee hearing. I'm not a lawyer. I don't  
3 really understand legalese. What's the difference?

4 MS. SCOTT: There are several differences.  
5 First, the brief is a brief. It's a document where we're  
6 putting forward legal argument about something. It's a  
7 long time ago. It's not clear when you read that  
8 document what some of the underlying facts were in that  
9 case. I think in this case, and that's why I commended  
10 everybody, the record is developed to such an extent that  
11 I, unlike many cases, I have to say, where the record is  
12 good, it's sufficient, but this one, I think the parties  
13 just went to such an extent and brought out so -- so much  
14 of the underlying facts in this case that I could not  
15 discern that from the older document, the extent to which  
16 the facts had all been brought out. But -- so it's  
17 different in that regard.

18 The other difference that I saw is that  
19 this older document and what we were talking about there,  
20 I believe, was already a CEC, and there was modifications  
21 being proposed. So those had to come back before the  
22 Committee. That's -- that's my understanding right now.  
23 But if you wanted a more thorough comparison of the two,  
24 I would have to actually go back and look at the record  
25 of the older proceeding and try to set those out for you.

1 But I think there are some important differences between  
2 the two proceedings.

3 MEMBER GOLD: So you're saying that, and I  
4 thought I read that somewhere, that there was a related  
5 CEC for the documents that was dated 2007, whereas, there  
6 was no CEC for what's going on today?

7 MS. SCOTT: That is my understanding in  
8 looking at that document, and that we were modifying the  
9 CEC there with this addition.

10 MEMBER GOLD: And I also understand that  
11 2007 is many years ago.

12 MS. SCOTT: Yes.

13 MEMBER GOLD: And the statute that we're  
14 reading is even older than that. And if I remember  
15 correctly back in 1971, and I can remember 1971, when  
16 they talked about solar energy, they were talking about  
17 coils you would put on your roof that heated water. And  
18 solar panels that produce electricity were in their  
19 infancy, and you are -- I agree with you that the  
20 legislature should really be revising this statute. And  
21 we're in a situation where there are great arguments on  
22 the side of the attorneys and the organizations who are  
23 represented here.

24 But the letter of the law is, what you're  
25 stating in your 2024 letter, that says since the letter

1 of the law has not changed since 1971 -- it reminds me of  
2 a case in New York where a fellow was arrested for  
3 walking down Broadway with a sign that said, "A car is  
4 following me," and the law said that all automobiles  
5 riding on the streets of New York had to be preceded by a  
6 person walking to warn the horses, so they wouldn't be  
7 frightened by the sound of a car. The end result, the  
8 Court decided that, yes, the law is still in the books;  
9 he had every right to do so. But the flag should have  
10 been 20 inches by 20 inches and it was only 14 by 14, so  
11 they said he broke the law by doing that.

12 Hence, they came up with judicial argument  
13 that I think we have to come up with today on this  
14 Committee about the letter of the law, the spirit of the  
15 law, and the fairness of the law that says power plants  
16 with solar panels or wind can be as many megawatts as  
17 they need to be, but only the gas-fired plants are  
18 penalized or put under a different structure than the  
19 other electricity-generating plants. So I believe that's  
20 something that we have to consider here today.

21 And, Mr. Chairman, I just wanted to make  
22 that statement, because I don't have an answer yet.

23 CHMN STAFFORD: Member Richins, do you have  
24 a question?

25 (No response.)

1 CHMN STAFFORD: No? Okay.

2 All right. Does the applicant have  
3 rebuttal argument?

4 MS. GRABEL: I do, yes, Mr. Chairman, but  
5 I'll try to make it brief.

6 CHMN STAFFORD: Thank you.

7 MS. GRABEL: First, the intervenors  
8 continue to argue that the wires and pipes that run from  
9 the shared facilities to other units render the units not  
10 separate; however, the fact that these wires and pipes  
11 are connected to the individual units and then to each  
12 other does not make them less individual as generating  
13 units with separate nameplate ratings. I think taken to  
14 its extreme, the intervenors' argument would mean that a  
15 transmission line that connects one generating station to  
16 another generating station located miles and miles and  
17 miles apart would be one station, and that's clearly not  
18 the right result.

19 We could build separate facilities, but we  
20 don't, for economic reasons, not operational ones.  
21 Notably, the intervenors did not discuss at all the fact  
22 that the units will generate separately, operate  
23 separately, be monitored separately, and be dispatched  
24 separately. They simply avoid facts that are  
25 inconvenient to their argument.

1           The Sierra Club argued that the focus of  
2 the statute is the environmental impact, and that these  
3 units will have environmental impact. That is true, but  
4 the statute sets for a trigger for when a CEC is  
5 required. One of them is it has to be thermal and  
6 another is that the nameplate rating of that generating  
7 unit needs to be 100 megawatts or higher. They cannot  
8 read that out of the statute and be consistent with the  
9 principles of statutory construction.

10           The Sierra Club also noted the fact that  
11 public outreach is needed for these natural gas plants  
12 and, therefore, all applicants should be required to get  
13 a CEC. I would note that in the actual law not a lot of  
14 public outreach is legally required associated with CEC  
15 proceedings. Under the statute and the regulations, all  
16 we really need to do is publish in a newspaper of general  
17 circulation and mail a notice of hearing to affected  
18 jurisdictions. We do a lot more because that's what the  
19 Committee expects of us, but it's not legally required.  
20 And, therefore, that's really not a reason to have a CEC  
21 hearing. I'd also note that that is a policy argument  
22 that's irrelevant to the legal interpretation before you.

23           Several of the intervenors referred to the  
24 industry definitions of "plant," that is legally  
25 irrelevant to these proceedings. The only legally

1 relevant definition of "plant," is that found in  
2 ARS 40-360.09. And "generating unit," as referred to by  
3 WRA in the IEEE publication is not a defined term in that  
4 IEEE manual, and is also not relevant to the  
5 interpretation of the Arizona law.

6           None of the intervenors addressed their  
7 violation of the principles of statutory construction,  
8 which is that their interpretation of the word "separate"  
9 completely renders the phrase "nameplate rating," as used  
10 in the statute, meaningless. Several of them referred to  
11 the spirit and purpose of the law, that is, again, as I  
12 referenced in my initial argument, that -- that spirit  
13 and purpose is only to be considered if the language of  
14 the statute itself is unambiguous, and in this case it is  
15 not.

16           In comparing Arizona statutes to other  
17 jurisdictions, the Sierra Club argues that they're the  
18 same intention and somehow, I didn't fully understand,  
19 Arizona's is a negative requirement, as opposed to an  
20 affirmative. I would respectfully submit that that  
21 argument does not make a lot of sense. What the  
22 comparison shows is that Arizona focuses on the  
23 individual aspects of the units, as opposed to looking at  
24 the cumulative or combination of the units. And trying  
25 to say that the Arizona statute is the same as those

1 requiring aggregation, again, violently undermines  
2 established principles of statutory construction, which  
3 again, the intervenors don't address.

4           Ariseia continues to state that UNS never  
5 disclosed that the Black Mountain Generating Station was  
6 122 megawatts. That is patently false. You will see it  
7 in our EIA-360 reports that are contained in Sierra  
8 Club's evidence. You'll see them back through 2017, we  
9 consistently report -- I mean, starting in 2017, which is  
10 all that's in evidence, but we clearly did it before  
11 that. We consistently report each unit as 61 megawatts.  
12 Inflammatory statements like these really need to be  
13 disregarded.

14           Similarly, I think it's inflammatory for  
15 Ariseia to suggest that UNSE was trying to hide its  
16 affiliation with UED. Ms. Hill very transparently, on  
17 the record yesterday, disclosed that affiliation.  
18 There's nothing that we were trying to hide there.  
19 Ariseia also kind of villainizes UNSE for not having a --  
20 or for not disclosing the lack of CEC, but I would  
21 respectfully submit we are not here to litigate whether  
22 or not a CEC was required for those first units, but  
23 whether or not it's required for the four new units that  
24 are going to be built.

25           Most of the arguments that we have heard

1 today are based on policy that UNSE's interpretation  
2 will, quote, open the floodgates to the construction of  
3 natural gas. This is a policy argument that cannot  
4 defeat the legal requirement that a statute must be  
5 interpreted, according to its plain language. And we've  
6 heard nothing that undermines the clear meaning of the  
7 statute that's consistent with the rules of statutory  
8 construction. If a change is needed, as Ms. Scott just  
9 referenced, that change should be addressed with the  
10 legislature, but the Commission and this Committee should  
11 apply the statute as written today.

12 Thank you very much.

13 CHMN STAFFORD: Any additional questions  
14 from --

15 MEMBER LITTLE: Mr. Chairman?

16 CHMN STAFFORD: Is that Member Little?

17 MEMBER LITTLE: Mr. Chairman?

18 CHMN STAFFORD: Yes, Member Little.

19 MEMBER LITTLE: I apologize, I  
20 didn't -- wasn't able to get in right after Maureen's  
21 presentation, but I do have one question for Staff, and  
22 perhaps I'm looking for a comment from them.

23 In their letter of April 16th it says,  
24 "This makes it clear that the legislature was striking a  
25 balance. Large electric generation projects,



1 100 megawatts or more, would need an environmental  
2 review, which has not been required prior to this law,  
3 but smaller projects would not be required to undergo,"  
4 blah, blah, blah.

5 This -- when I read this, this reminded me  
6 that when I was on Staff at the Commission, we tended to  
7 look at the applications as projects, not as individual  
8 how many units were in there. If this -- and the  
9 applicant is not applying for one, 50-megawatt generator  
10 turbine combination, they are applying -- the project  
11 includes all four.

12 And I'm curious, perhaps, how Staff  
13 differentiates between the project, as applied for, which  
14 includes all of the units, and the individual unit?

15 CHMN STAFFORD: And your question is  
16 directed at Maureen?

17 MEMBER LITTLE: Yes.

18 CHMN STAFFORD: Ms. Scott?

19 MS. SCOTT: Yes. I -- I think the project  
20 itself would consist of the four separate generating  
21 units, as you mentioned; however, when you look at the  
22 statute and what you're to base that threshold on for  
23 determining whether the Committee and the Commission have  
24 jurisdiction, that is based on ARS 40-360.09, and that  
25 says small plants with nameplate ratings less than

1 100 megawatts are exempt from the CEC process, and then  
2 it goes on to define a plant, meaning each --

3 MEMBER LITTLE: I understand all of that.

4 MS. SCOTT: Okay. So that is --

5 MEMBER LITTLE: I guess I -- I guess -- I  
6 guess this just illustrates another point of confusion  
7 that has occurred over the years with respect to which  
8 projects qualify for CECs and which are exempt.

9 Thank you.

10 CHMN STAFFORD: Any additional questions  
11 from members?

12 (No response.)

13 CHMN STAFFORD: All right. I think a  
14 number of parties have requested briefs on this prior to  
15 our vote. Do any -- is there any desire by the Committee  
16 to seek a briefing on this or are you prepared to  
17 deliberate and vote today?

18 MEMBER GOLD: No objection.

19 CHMN STAFFORD: The Committee is not  
20 interested in a briefing schedule.

21 All right. Well, I'd like to give my two  
22 cents on this to the Committee, if you would. We talk  
23 about statutory construction. The Supreme Court said  
24 that we first look at a statute's language in attempting  
25 to discern legislative intent, but when the statute --

1 when the language is susceptible to differing reasonable  
2 interpretations, we interpret the statute as a whole and  
3 consider the statute's context, subject matter, and  
4 historical background, effects and consequences, and  
5 spirit and purpose.

6 Now, I think the definition in ARS 40-360,  
7 subsection 9, the definition of "plant," I think it's  
8 obviously susceptible to different interpretations, as  
9 evidenced by the Commission's issuance of CECs in Line  
10 Siting Cases 197, 177, 141, 107, and 133, and the  
11 applicant's proposed interpretation in its request for  
12 disclaimer of jurisdiction, as well as the fact that the  
13 existing BMGS was constructed without a CEC or a  
14 disclaimer from the Commission. If the language is  
15 clear, the Court must apply it without resorting to other  
16 methods of statutory interpretation, unless application  
17 of the plain meaning would lead to impossible or absurd  
18 results.

19 Now, let's look at the declaration of  
20 policy from the legislature when it passed this statute  
21 in 1971. "The legislator hereby finds and declares that  
22 there is, at present and will continue to be, a growing  
23 need for electric service, which will require the  
24 construction of major new facilities." It seems apparent  
25 that the definition of "major new facilities" was -- the

1 line was drawn at 100 megawatts or more.

2           They recognized that the facilities  
3 couldn't be built without in some way affecting the  
4 physical environment where the facilities are located.  
5 And they found that it's essential in the public interest  
6 to minimize any adverse effects upon the environment and  
7 upon the quality of life of the people of the state,  
8 which such facilities might cause. And they found the  
9 present practices prior to the enactment of the Committee  
10 and the Commission's authority over Line Siting and Plant  
11 Siting, they were inadequate, the proceedings before they  
12 adopted these types of proceedings, to protect  
13 environmental values and take into account the total  
14 effect on society of such facilities.

15           They went on to determine that, they said,  
16 "The legislature finds that existing law does not provide  
17 adequate opportunity for individuals, groups interested  
18 in conservation and in protection of the environment,  
19 local governments, and other public bodies to participate  
20 in a timely fashion in the decision to locate a specific  
21 major facility at a specific site." I'll say that again,  
22 "a specific major facility at a specific site."

23           The legislature declared that the purpose  
24 of this article is to provide a single forum for the  
25 expeditious resolution of all matters concerning the

1 location of electric generating plants and transmission  
2 lines in a single proceeding to which access will be open  
3 to interested and affected individuals, groups, county  
4 and municipal governments, and other public bodies to  
5 enable them to participate in these decisions. It  
6 is -- and it looks to me that the line they drew was  
7 100 megawatts or more.

8           If you look at the definition of "plant,"  
9 it says it means each separate. It doesn't say "each  
10 individual," it says, "each separate." I think the  
11 logical interpretation of this statute is that if they  
12 share the same site, they are not separate, period. So  
13 whether you have -- if you have 100 megawatts, whether  
14 it's 10, 20-megawatt plants, one 100-megawatt plant, they  
15 all need to get a CEC.

16           If you start with a facility that has less  
17 than 100 megawatts, that doesn't require a CEC. If you  
18 add to that site additional plant that raises the total  
19 output or the nameplate -- the total cumulative nameplate  
20 rating to over 100 megawatts, you need a CEC. The  
21 nameplate rating was the -- they didn't say effective  
22 load-capable-carrying capability or the effective net  
23 output. The terms that we typically talk about in terms  
24 of these things, they said, "nameplate rating." Why  
25 would they pick the nameplate rating, when that's applied

1 the least relevant characteristic of its output to what  
2 the Commission and the utility was concerned about? I  
3 think it's because it's clear that it's obvious the  
4 nameplate rating doesn't change, depending on where you  
5 put the plant. It's a constant. That's how they select  
6 the nameplate rating.

7           The Supreme Court tells us that "a result  
8 is absurd if it is so irrational, unnatural, or  
9 inconvenient that it cannot be supposed to have been the  
10 intention of persons with ordinary intelligence and  
11 discretion." You heard the applicant tell us that under  
12 their interpretation of the statute, someone could build  
13 a thousand megawatts of small modular reactors in a  
14 residential neighborhood and not have to go through this  
15 process. That is a transparently absurd result.

16           So I would like -- I'm asking the Committee  
17 for what -- how would you like to vote on this. You can  
18 either make a motion to accept or deny the applicant's  
19 request for a disclaimer of jurisdiction. And then if we  
20 don't have an order before us, I'm not going to move  
21 either of the -- neither the applicant's nor the  
22 intervenors' proposed orders.

23           I would ask the Committee to do a motion  
24 to -- either to deny -- to deny their application and  
25 then have me author a Decision that reflects the vote,

1 based on the reasoning that I just laid out.

2 MEMBER KRYDER: Mr. Chairman?

3 CHMN STAFFORD: Yes, Member Kryder.

4 MEMBER KRYDER: I propose that the  
5 Committee accept the request by the applicant for a  
6 disclaimer of jurisdiction.

7 CHMN STAFFORD: Are you recommending -- are  
8 you asking that we grant the disclaimer or deny it?

9 MEMBER KRYDER: I'm sorry, I couldn't hear  
10 you.

11 CHMN STAFFORD: Are you -- I didn't  
12 understand your motion. Are you moving to grant the  
13 applicant's request for disclaimer?

14 MEMBER KRYDER: That is correct.

15 CHMN STAFFORD: Okay.

16 MEMBER MERCER: Second.

17 CHMN STAFFORD: The motion is to grant the  
18 disclaimer.

19 Let's call the role. Member Fontes?

20 MEMBER KRYDER: Wait for him to vote.

21 CHMN STAFFORD: Okay. So an affirmative  
22 vote disclaims jurisdiction. A "yes" vote says they  
23 don't need a CEC. A "no" vote says, yes, they -- a no  
24 vote would require a CEC.

25 MEMBER RICHINS: No, a "no" vote would --

1 CHMN STAFFORD: Right. So it's -- the  
2 motion is to grant the disclaimer. So a "yes" vote  
3 grants the disclaimer. A "no" vote doesn't grant the  
4 disclaimer, and then we would have to entertain another  
5 motion to deny the disclaimer.

6 Is that clear, everyone?

7 (No response.)

8 CHMN STAFFORD: Member Fontes?

9 MEMBER FONTES: No.

10 CHMN STAFFORD: Member Drago?

11 MEMBER DRAGO: No.

12 CHMN STAFFORD: Member French?

13 MEMBER FRENCH: No.

14 CHMN STAFFORD: Member Richins?

15 MEMBER RICHINS: No.

16 CHMN STAFFORD: Member Gold?

17 MEMBER GOLD: No.

18 CHMN STAFFORD: Member Mercer.

19 MEMBER MERCER: Yes.

20 CHMN STAFFORD: Member Kryder?

21 MEMBER KRYDER: Yes.

22 CHMN STAFFORD: And online we have Member  
23 Somers?

24 MEMBER SOMERS: No.

25 CHMN STAFFORD: Member Little?



1                   You're muted. Member Little, you're muted,  
2 we can't hear you. You're still muted.

3                   MEMBER LITTLE: I did not hear the last few  
4 votes of the Committee. I did not hear the last few  
5 votes of the Committee.

6                   CHMN STAFFORD: Members Mercer and Kryder  
7 voted in favor of granting the disclaimer of  
8 jurisdiction.

9                   MEMBER LITTLE: Well, I would like to  
10 explain my vote just briefly, if I may. You know, I have  
11 a lot -- many years of experience as an electrical  
12 utilities planning engineer and things were very, very  
13 different back in 1971. And I believe that were the  
14 language of this to be written today, it would be written  
15 differently. And, you know, generators between 50 and  
16 100 megawatts are routinely grouped into larger plants in  
17 today's planning environment to fulfill peaking needs  
18 that support for renewables and to meet reliability  
19 requirements. And that is, you know, regardless of the  
20 fact that, yes, anything is possible, we could build  
21 large gas plants. That's not the way the industry is  
22 going right now.

23                   And I believe that, as a representative of  
24 the public, I have a responsibility to assure that the  
25 public has the right to -- to express their voice in the

1 siting of environmental impact for generation and  
2 transmission, and I think that clumping a bunch of  
3 smaller -- or installing a bunch of smaller units all in  
4 one place, does that. And I vote no.

5 CHMN STAFFORD: Member Hill?

6 MEMBER HILL: No.

7 CHMN STAFFORD: And I also vote no.

8 By a vote of 2 to 9, the motion fails.

9 MEMBER RICHINS: Chairman, I make a motion  
10 to deny the disclaimer of jurisdiction for the applicant.

11 CHMN STAFFORD: Is there a second?

12 MEMBER FONTES: Second.

13 CHMN STAFFORD: Member Fontes?

14 MEMBER FONTES: Yes.

15 CHMN STAFFORD: Member Drago?

16 MEMBER DRAGO: Yes.

17 CHMN STAFFORD: Member French?

18 MEMBER FRENCH: Yes.

19 CHMN STAFFORD: Member Richins?

20 MEMBER RICHINS: Yes.

21 CHMN STAFFORD: Member Gold?

22 MEMBER GOLD: I'd like to make a comment.

23 I, too, represent the people of the state of Arizona, and  
24 while I believe you should build this plant, I believe a  
25 CEC in this case is necessary. And I also believe that

1 in the earlier case where our counsel stated in 2007 that  
2 it was not needed, it was also stated because a CEC was  
3 done.

4 I also appreciate the fact that you have  
5 done pretty much everything that a CEC would require and  
6 I don't foresee you not getting one. But I have to say,  
7 this Committee is here for a reason. And, therefore, I  
8 have to vote yes, I require the CEC. And I look forward  
9 to granting it when you're ready.

10 CHMN STAFFORD: Member Mercer?

11 MEMBER MERCER: I would like to make a  
12 comment.

13 CHMN STAFFORD: Please.

14 MEMBER MERCER: I'm voting according to the  
15 present statute, which I agree that in 1971, the statute  
16 needs changes. And, unfortunately, as a member of this  
17 Committee, I have no power to change the law. I have  
18 spoken to several legislators about it and they agree  
19 that the statute is outdated, and it does not fit with  
20 the new technology we have, with renewable and  
21 sustainable energy as what is solar and wind. So I have  
22 to vote no, because that's what the statute says.

23 CHMN STAFFORD: Member Kryder?

24 MEMBER KRYDER: No.

25 CHMN STAFFORD: Member Somers?

1 MEMBER SOMERS: Yes.

2 CHMN STAFFORD: Member Little?

3 MEMBER LITTLE: Yes.

4 CHMN STAFFORD: Member Hill?

5 MEMBER HILL: Yes.

6 CHMN STAFFORD: And I vote yes.

7 By a vote of 9 ayes, 2 noes, the Commission  
8 votes to deny applicant's request for a disclaimer of  
9 jurisdiction.

10 Are we entertaining a motion to have me  
11 draft an order with the reasoning that I laid out?

12 MEMBER FONTES: I so move.

13 MEMBER RICHINS: Second.

14 CHMN STAFFORD: Seconded by Member Richins.

15 CHMN STAFFORD: All in favor say "aye."

16 (A chorus of "ayes.")

17 CHMN STAFFORD: Opposed?

18 (No response.)

19 CHMN STAFFORD: Hearing none, the motion  
20 passes. I will issue an order reflecting the Decision of  
21 the Committee.

22 Anything further from members?

23 (No response.)

24 CHMN STAFFORD: With that we are adjourned.

25 Thank you.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

(The hearing concluded at 4:44 p.m.)

1 STATE OF ARIZONA )  
COUNTY OF MARICOPA )

2

3

4 BE IT KNOWN that the foregoing proceedings were  
5 taken before me; that the foregoing pages are a full,  
6 true, and accurate record of the proceedings all done to  
the best of my skill and ability; that the proceedings  
were taken down by me in shorthand and thereafter reduced  
to print under my direction.

7

8 I CERTIFY that I am in no way related to any of  
the parties hereto nor am I in any way interested in the  
outcome hereof.


9

10 I CERTIFY that I have complied with the ethical  
11 obligations set forth in ACJA 7-206(F)(3) and ACJA 7-206  
(J)(1)(g)(1) and (2). Dated at Phoenix, Arizona, this  
30th day of April, 2024.

11

12

13



14

ROBIN L. B. OSTERODE, RPR  
CA CSR No. 7750  
AZ CR No. 50695

15

16

17

\* \* \* \* \*

18

19 I CERTIFY that Glennie Reporting Services, LLC,  
has complied with the ethical obligations set forth in  
ACJA 7-206(J)(1)(g)(1) through (6).

20

21

22

23



24

GLENNIE REPORTING SERVICES, LLC  
Registered Reporting Firm  
Arizona RRF No. R1035

25