

1 BEFORE THE ARIZONA POWER PLANT LS-456
2 AND TRANSMISSION LINE SITING COMMITTEE
3 IN THE MATTER OF THE APPLICATION OF) DOCKET NO.
4 UNS ELECTRIC, INC. IN CONFORMANCE) L-00000F-25-0209-
5 WITH THE REQUIREMENTS OF A.R.S. §) 00252
6 40-360, ET. SEQ., FOR A CERTIFICATE)
7 OF ENVIRONMENTAL COMPATIBILITY)
8 AUTHORIZING THE SANTA CRUZ) Case No. 252
9 RELIABILITY PROJECT NORTH, WHICH)
INCLUDES THE CONSTRUCTION OF A NEW)
138 KV TRANSMISSION LINE WITHIN)
UNINCORPORATED PIMA COUNTY AND)
UNINCORPORATED SANTA CRUZ COUNTY,)
ARIZONA.) EVIDENTIARY
HEARING

10

11 At: Tucson, Arizona
12 Date: November 3, 2025
13 Filed: November 10, 2025

14

15

16 REPORTER'S TRANSCRIPT OF PROCEEDINGS
17 (Pages 1 through 152)

18

19

20

21 GLENNIE REPORTING SERVICES, LLC
22 Court Reporting, Video & Videoconferencing
1555 East Orangewood Avenue, Phoenix, AZ 85020
602.266.6535 admin@glennie-reporting.com

23

24 By: Robin L. B. Osterode, CSR, RPR
Arizona CR No. 50695

25

GLENNIE REPORTING SERVICES, LLC
www.glennie-reporting.com

602.266.6535
Phoenix, AZ

1	VOLUME I	November 3, 2025	Pages 1 to 152
2	VOLUME II	November 4, 2025	Pages 153 to 279
3	VOLUME III	November 5, 2025	Pages 280 to 329

4

5

INDEX TO PROCEEDINGS

6

7	ITEM	PAGE
8	Opening Statement of Mr. Ancharski	33
9	Presentation of Virtual Tour	128
10	Public Comment Session	26, 149
11	Closing Statement of Mr. Ancharski	274
12	Deliberations	286
13	Vote CEC-252	325

14

INDEX TO TOUR

15

16	STOP NO.	PAGE
17	1	163
18	2	165
19	5	168
20	7	175

20

21

INDEX TO EXAMINATIONS

22

23	WITNESSES	PAGE
24	CLARK BRYNER - Applicant	
25	Direct Examination by Ms. Grabel and Mr. Ancharski	43

25

1 INDEX (Continued):

2 INDEX TO EXAMINATIONS

3 WITNESSES PAGE

4 CHRIS ORTIZ y PINO - Applicant

5 Direct Examination by Ms. Grabel and 86
6 Mr. Ancharski

7 ADRIANA MARIÑEZ - Applicant

8 Direct Examination by Mr. Ancharski 161
9

10

11 INDEX TO EXHIBITS

12 NO.	DESCRIPTION	IDENTIFIED	ADMITTED
13 UNS-1	Application for Certificate	44	--
14	of Environmental		
15	Compatibility for UNSE		
16	(Santa Cruz Reliability		
	Project North)		
17 UNS-2	Map of Proposed Project	37	--
18 UNS-3	Testimony Summary of Clark	47	--
	Bryner		
19 UNS-4	Testimony Summary of Chris	86	--
20	Ortiz y Pino		
21 UNS-5	Testimony Summary of	203	--
	Adriana Mariñez		
22 UNS-6	Witness Presentation	47	--
23 UNS-7	Virtual Tour	127	--

24

25

1 INDEX (Continued):

2 INDEX TO EXHIBITS

3	NO.	DESCRIPTION	IDENTIFIED	ADMITTED
4	UNS-8	Tour Itinerary/Script/ Protocol	143	--
5	UNS-9	Summary of Public Outreach	207	--
6	UNS-10	Excerpt from 2025 Biennial Transmission Assessment Presentation	81	--
7				
8	UNS-11	UNSE Ten-Year Plans	230	--
9	UNS-12	Exhibits Regarding Notice Requirements	230	--
10				
11	UNS-13	Receipt of Filing Fee	237	--
12	UNS-14	Letter to State Historic Preservation Office	126	--
13	UNS-15	Proposed Certificate of Environmental Compatibility	41	--
14				
15	UNS-16	Letter of Support from City of Nogales	228	--
16	UNS-17	Letter of Support from The Chamber of Southern Arizona	228	--
17				
18	UNS-18	Letter of Support from Nogales-Santa Cruz County Chamber of Commerce	228	--
19				
20	UNS-19	Letter of Support from the Santa Cruz County Board of Supervisors	228	--
21				
22	UNS-20	Arizona Corporation Commission Utilities Division Staff Report	241	--
23				
24	UNS-21	Notice of Errata (Amendment to Application)	45	--
25				

1 INDEX (Continued):

2 INDEX TO EXHIBITS

3	NO.	DESCRIPTION	IDENTIFIED	ADMITTED
4	UNS-22	Letter of Support from	228	--
5		the Southern Arizona		
6		Leadership Council		
7	UNS-23	Social Media Campaign	236	--
		Metrics		
8	UNS-24	Additional Public Comments	238	--
9	UNS-25	Letter from State Historic	126	
10		Preservation Office		
11	UNS-26	Updated Response to State	126	--
12		Historic Preservation		
		Office		
13	UNS-27	Letter to Arizona Game and	118	--
		Fish Department		
14	UNS-28	Letter from Arizona Game	119	--
15		and Fish Department		
16	UNS-29	Letter of Support from	228	--
		Greater Nogales Santa Cruz		
17		County Port Authority		
18	UNS-30	Letter of Support from the	229	--
		Fresh Produce Association		
		of the Americas		
19	CHM-1	PDF Version of CEC-252	286	FOR
20				REFERENCE
21	CHM-2	Final Form of CEC-252	--	FOR
22				REFERENCE
23				
24				
25				

1 BE IT REMEMBERED that the above-entitled
2 and numbered matter came on regularly to be heard before
3 the Arizona Power Plant and Transmission Line Siting
4 Committee at Tucson, Arizona, commencing at 1:00 p.m. on
5 November 3, 2025.

6

7

8 BEFORE: ADAM STAFFORD, Chairman

9 MICHAEL COMSTOCK, Arizona Corporation Commission
10 LEONARD C. DRAGO, Department of Environmental
Quality
11 SAL DiCICCIO, Incorporated Cities and Towns
DOUGLAS FANT, General Public
12 ROMAN FONTES, Counties
DAVID FRENCH, Arizona Department of Water Resources
13 R. DAVID KRYDER, Agriculture Interests
MARGARET "TOBY" LITTLE, General Public
14 GABRIELA SAUCEDO MERCER, General Public

15 APPEARANCES:

16 For the Applicant:

17 OSBORN MALEDON, P.A.
By: Meghan H. Grabel
18 By: Elias J. Ancharski
2929 North Central Avenue, 20th Floor
19 Phoenix, Arizona 85012

20

21

22

23

24

25

1 CHMN STAFFORD: All right. Let's go on the
2 record. Now's the time set for the hearing in the
3 application of UNSE Electric, Inc., for a Certificate of
4 Environmental Compatibility, Docket Number
5 L-00000F-25-0209-00252, or Line Siting Case 252. Start
6 by taking roll call of the members.

7 Member Kryder?

8 MEMBER KRYDER: Here.

9 CHMN STAFFORD: Member Mercer?

10 MEMBER MERCER: Present.

11 CHMN STAFFORD: Member Comstock?

12 MEMBER COMSTOCK: Present.

13 CHMN STAFFORD: Member Fant?

14 MEMBER FANT: Here.

15 CHMN STAFFORD: Member Little?

16 MEMBER LITTLE: Here.

17 CHMN STAFFORD: Member Drago?

18 MEMBER DRAGO: Here.

19 CHMN STAFFORD: Member French?

20 MEMBER FRENCH: Here.

21 CHMN STAFFORD: Member Fontes?

22 MEMBER FONTES: Here.

23 CHMN STAFFORD: Member DiCiccio?

24 MEMBER DiCICCIO: Here.

25 CHMN STAFFORD: All right. Let's take the

1 appearance of the applicant.

2 Ms. Grabel.

3 MS. GRABEL: Thank you, Mr. Chairman.

4 Meghan Grabel from the law firm Osborn Maledon on behalf
5 of UNS Electric. With me at counsel table is my
6 colleague, Elias Ancharski.

7 CHMN STAFFORD: All right. Members, we
8 have had a Mr. Marshall Magruder apply to be granted
9 status as a party or an intervenor in this matter. He
10 is -- under the statute he's not a party by right, but he
11 has requested and it is up to this committee to decide
12 whether or not to grant him party status.

13 Mr. Magruder, can you hear us?

14 MR. MAGRUDER: (No audible response.)

15 CHMN STAFFORD: Hello, Mr. Magruder?

16 MR. MAGRUDER: (No audible response.)

17 CHMN STAFFORD: I can't hear him. I can
18 see him on Zoom, but there's no audio of him.

19 Mr. Magruder, can you hear me? Can you
20 give me a thumbs up if you can hear me?

21 MR. MAGRUDER: (No audible response.)

22 CHMN STAFFORD: Mr. Magruder, can you hear
23 me?

24 MR. MAGRUDER: (No audible response.)

25 CHMN STAFFORD: I can see Mr. Magruder's

1 lips moving, but I don't hear any audio.

2 Let's take a brief recess while we sort out
3 this technical issue. Let's go off the record.

4 (Recessed from 1:17 p.m. until 1:20 p.m.)

5 CHMN STAFFORD: Let's go back on the
6 record.

7 Mr. Magruder, can you hear me?

8 MR. MAGRUDER: Yes, I can hear you loud and
9 clear.

10 CHMN STAFFORD: Great. Now we can hear
11 you.

12 MR. MAGRUDER: Thank you.

13 CHMN STAFFORD: All right. Members,
14 Mr. Magruder has asked to be a party in this matter.
15 It's up to us to decide whether or not he will.

16 Mr. Magruder, can you explain to the
17 committee why you should be granted intervention?

18 MR. MAGRUDER: Yes. Yes, Chairman.

19 My name is Marshall Magruder. I was a
20 former Vice Chairman of the Joint Santa Cruz County and
21 City of Nogales Energy Commission. I've been a Tubac --
22 I was a Tubac resident -- Tubac, Arizona resident for
23 25 years. My address is 455 East Mayo Boulevard, Unit
24 4102, Phoenix, Arizona 85050.

25 I moved to an independent living facility

1 here two years ago to be near important medical
2 facilities. I was an active intervenor in almost every
3 case, line siting case, water case, gas case, since 2000.
4 And, in particular, case 111, which was extremely similar
5 to this case. And I learned a lot then. And that case
6 had design faults -- faults that were not avail- -- that
7 are not present in today's case.

8 There are two issues I'm concerned about:
9 One is ratepayers. I'm worried about what company owns
10 what part of the entire renewable -- Santa Cruz renewable
11 reliability program wires, because they then -- that cost
12 then goes to the rate base, which then comes back to the
13 ratepayers. This is about a \$100 million project. There
14 are 20,000 customers in the Santa Cruz service area.
15 That's about \$5,000 a customer. And from what it -- the
16 amount, the trivial amount of improved reliability, in my
17 view, is not worth paying \$5,000 for it.

18 The second issue involves the three
19 sequential phases to this program. And when you start
20 doing things out of phase or that one part of the program
21 will affect another, and in fact, it's a very complicated
22 system that a lot of us haven't understood yet that I
23 intend to bring out in my testimony.

24 So those are the things I intend to talk
25 about. I intend to, if you don't mind, have an opening

1 statement, which the agenda calls for if I'm an
2 intervenor; and second, I'd like to give a presentation
3 during the time I would be doing the testimony. And
4 those are my two major parts, other than questioning
5 during Qs and As.

6 That's it, Chairman.

7 CHMN STAFFORD: Thank you, Mr. Magruder.

8 Ms. Grabel, let's -- I'd like to hear from
9 the applicant. You filed a motion in opposition to his
10 request to intervene?

11 MS. GRABEL: We did, Mr. Chairman. Thank
12 you, Committee Members.

13 UNS does not take lightly opposing requests
14 for intervention. It's something we rarely do. In this
15 case, I'd like to start by noting the procedural requests
16 that Mr. Magruder has made. He's indicated on multiple
17 occasions that he wants to continue this hearing for a
18 series of weeks between times in order to give him times
19 to formulate his position in this matter.

20 Step closer to the mic? Okay.

21 He wants to engage in discovery, and has to
22 date sent UNS Electric three data requests since last
23 Monday with over 158 questions. We will not be able to
24 respond to those. So during the prehearing conference,
25 Chairman Stafford suggested he ask the applicant all

1 those 158 questions during this hearing, and he said
2 that's what he intended to do. Many of those DRs seek
3 information that's not relevant to this project; it's
4 relevant to other projects. He wants several rounds of
5 prefiled testimony and briefing. Obviously, all of this
6 would significantly delay the proceedings and massively
7 increase the costs to UNS Electric Company.

8 The procedural stuff is not our grounds for
9 intervention. Our grounds -- our legal grounds are
10 twofold. The first is that his application was untimely.
11 He filed four days too late under the governing
12 regulations. And, as we noted in our response, UNS
13 Electric would be willing to waive that defect if he
14 would agree to withdraw the onerous procedural requests
15 that he made.

16 However, since filing our notice, it has
17 come to our attention that Mr. Magruder does not have
18 standing in this case. He is no longer a customer of UNS
19 Electric. He moved away from the service territory two
20 years ago, as he noted in his remarks just now, nor does
21 he own any land in the service territory. He's nowhere
22 near this transmission line.

23 Under the governing regulations, a person
24 must establish that they have "A direct and substantial
25 interest in this matter." And at this point,

1 Mr. Magruder has neither a direct nor a substantial
2 interest.

3 He says, you know, he wants to protect
4 ratepayers, but he's no longer a UNSE ratepayer; he's an
5 APS ratepayer. The Commission has denied intervention on
6 this basis on several occasions, and we think it is
7 appropriate to do this here.

8 How this matter is resolved literally has
9 no impact to Mr. Magruder. For him this is an academic
10 exercise that would increase the cost to current UNSE
11 ratepayers, and we believe that that's an inappropriate
12 result.

13 Thank you.

14 CHMN STAFFORD: Thank you. Questions from
15 members?

16 MEMBER LITTLE: Mr. Chairman?

17 CHMN STAFFORD: Yes, Member Little.

18 MEMBER LITTLE: I'm not quite sure how to
19 phrase my question, but I'm wondering besides
20 participation in this hearing here, granting him
21 intervenor status would have what implications to the
22 project for either us, the Commission, or the applicant?

23 CHMN STAFFORD: Is that directed at the
24 applicant or at Mr. Magruder?

25 MEMBER LITTLE: It's directed at you or --

1 it's directed at a lawyer.

2 CHMN STAFFORD: Okay. Let's ask -- let's
3 ask Ms. Grabel.

4 MS. GRABEL: Thank you, Mr. Chairman,
5 Committee Member Little.

6 I think it sets a bad precedent because, I
7 mean, this is exactly the type of case that the
8 Commission has, on several occasions, denied
9 intervention. I have at least six that I can name now
10 for you where a potential intervenor was denied
11 intervention in a utilities rate case because -- and a
12 line siting case, because they could not establish they
13 were a customer or a landowner and, therefore, had no
14 direct and substantial impact.

15 As to this direct case, it would, as I
16 mentioned before, obviously delay these proceedings quite
17 substantially and would increase the cost to existing
18 customers, as I mentioned. We believe, under our present
19 case, our direct case, as we intend to present it, we
20 could be finished by Wednesday. With the procedural
21 things that Mr. Magruder has requested, as well as the
22 several, several, 158 questions that he said he intends
23 to ask during the hearing, we will go at least until
24 Friday, if not beyond, and he has requested to extend the
25 proceedings until he has the information that he wants.

1 May I say one more thing?

2 CHMN STAFFORD: Yes, Ms. Grabel.

3 MS. GRABEL: We, of course, would not
4 oppose Mr. Magruder making public comment this afternoon,
5 I think he has every right to do that, as others would
6 do. So he can say whatever he wants to the committee at
7 that point. Nor would we have any objection to taking
8 the filings he's made to date and having the committee
9 consider those as public comment as well.

10 CHMN STAFFORD: I think all his filings
11 have been in the docket, so there's nothing that he has
12 that hasn't been filed in the docket that's available to
13 members so far, I think.

14 Mr. Magruder, you had your hand raised?

15 You're on mute Mr. Magruder.

16 MEMBER KRYDER: Mr. Chairman?

17 CHMN STAFFORD: Yes, Member Kryder.

18 MEMBER KRYDER: We received, as members of
19 the committee, a significant packet of materials from
20 Mr. Magruder, I read through, surprisingly, the nearly
21 300 pages and was overwhelmed by the volume of it, but
22 also was underwhelmed by -- it seemed the redundancy of
23 what was said and so on, much of it not pertaining to
24 this particular project.

25 So it was, like -- and I don't mean to

1 demean the significant work that the author put into
2 it -- but it was, like, I wanted a small sandwich and I
3 got a banquet. And it was difficult for me to follow
4 through much of this and to get my sandwich out of it.

5 So my observation would be that I think the
6 committee, or at least those who had a chance to read
7 that big document, look through it at least, have already
8 had a chance to stand at the banquet table. And I thank
9 Mr. Magruder for his insights and his hard work in this,
10 but I believe that it would be more appropriate to have
11 him give public comment than to be a current participant.

12 Thank you.

13 CHMN STAFFORD: Thank you, Member Kryder.

14 Mr. Magruder?

15 MR. MAGRUDER: (No audible response.)

16 CHMN STAFFORD: You're still on mute.

17 You're still on mute, Mr. Magruder. I can see your mouth
18 move, but the --

19 MR. MAGRUDER: Can you hear me now?

20 CHMN STAFFORD: There you go. Yes.

21 MR. MAGRUDER: Okay. I'd like to make some
22 rebuttal.

23 First of all, a week ago Monday was the
24 first time I learned that the application had been sent.
25 I previously participated in a Zoom conference on 7

1 August, and I also signed up for the newsletters from the
2 utility. And so I did not know until two weeks ago that
3 I -- that this application had been submitted, which
4 means I had to work pretty fast. I did write a long
5 letter in August so the company has known my position on
6 different things.

7 I got a very short email back on the 19th
8 of September, the same day they submitted the
9 application, saying they received my comments, and it
10 would show up in the record. It is not in the record for
11 this case. And that was why the first thing I submitted
12 was what I had previously submitted to the company, plus
13 additions that had occurred since August until two weeks
14 ago.

15 That's why -- and that was incomplete. And
16 the original comments since requested -- or looked at
17 suggested maybe having multiple hearings. I've -- since
18 August, I've changed my mind. I think having a hearing
19 in this procedure for these days is fine. And I believe
20 I could be a valuable participant, especially during
21 cross-examination. If I'm not an intervenor and just
22 making public comment, I cannot cross-exam. And that is
23 one of the things that I think is an important role I'd
24 like to play.

25 So the 10 days that I counted was 10 days

1 on the calendar. Unfortunately, I don't read the various
2 court rules routinely to determine how to count the days
3 and the weekends don't count when you count 10 days. So
4 I rushed, very rushed, to get a -- an intervening letter
5 in.

6 I had planned to submit data requests, I
7 submitted so far three to the company. There are a lot
8 of little questions, the questions are very simple, but I
9 do not expect them to have them answered, obviously.
10 And, frankly, I don't think they're going to ever answer
11 them. So it doesn't bother me if they don't answer them,
12 because I wasn't even an intervenor when I submitted
13 them. Normally you have to be an intervenor to submit a
14 data request. And so I did something. I don't know if
15 it's right or wrong. Again, I'm not an attorney.

16 And so delaying the hearing is what I
17 recall was the second point I brought up. Do you as the
18 Chairman want to have three different sets of Santa Cruz
19 reliability hearings or do you want to have one composite
20 one? And the reason I suggested a composite one, because
21 these are inter-related projects. And in addition to
22 that, in 2017, a CEC, which is not even mentioned in the
23 documents so far, greatly affects this, which is the
24 Nogales interface. And the result might be three
25 different sets of transmission lines through Santa Cruz

1 County. And I think that's excessive. And I -- and
2 especially since one of them will have absolutely no
3 benefit for anyone in Santa Cruz County.

4 Now, back to my -- I -- because I lived in
5 Santa Cruz County for so long, I have a strong feeling to
6 my neighbors and my friends. And I really don't want
7 them to be taken to the cleaners because -- and part of
8 my testimony would be of the complex nature of LLCs owned
9 by the Hunt Energy Company and all these other companies,
10 it's impossible to figure out what's going to happen
11 and one of the --

12 CHMN STAFFORD: Thank you, Mr. Magruder.
13 It sounds to me like the major -- your major concerns
14 with this project are the rate implications; is that
15 true?

16 MR. MAGRUDER: That's one of the -- there
17 are technical things that are minor, but that's the major
18 one, and that is one of the things that are listed under
19 the 360 RULE that you're supposed to consider.

20 CHMN STAFFORD: Mr. Magruder -- Mr.
21 Magruder, now, what is the point of your intervention in
22 this -- in this case? What do you hope to achieve by
23 intervening in this line siting case?

24 MR. MAGRUDER: What I want is fair and
25 reasonable results. Fair for the company and reasonable

1 for the company; fair and reasonable for the ratepayers.

2 CHMN STAFFORD: All right. You submitted
3 some slides for a presentation?

4 MR. MAGRUDER: Yes, I did.

5 CHMN STAFFORD: Can I get one of those up
6 on the screen, please?

7 CHMN STAFFORD: All right. Mr. Magruder,
8 can you see the slide on the screen? This is from your
9 presentation that you filed in the docket.

10 MR. MAGRUDER: Yes, Chairman. Yes,
11 Chairman.

12 CHMN STAFFORD: Okay. So is it fair to say
13 that your goal by intervening in this case is to add this
14 Condition to the Certificate?

15 MR. MAGRUDER: Yes, Chairman. That slide
16 is the exact same slide that I used on November 3rd,
17 2017, in the discussion of the what I'll call the third
18 transmission line direct from Gateway to Tuc- -- to
19 Phoenix -- to Tucson, and that case is not discussed
20 directly in the combination of things in the Santa Cruz
21 Reliability issue that we're talking about now.

22 And what -- in general, that's what I'd
23 like to have put in there, in 2017. And it seems
24 extremely reasonable to be put in there now. And I plan
25 to show why I would be so strong on requesting such an

1 item if I get a chance to testify.

2 CHMN STAFFORD: All right. Thank you,
3 Mr. Magruder.

4 The problem is that I don't think that
5 condition is in any way appropriate for a Certificate of
6 Environmental Compatibility. This is not a rate case.
7 We -- the committee lacks the authority over rates. We
8 can't tell the Commission what not to put into rates,
9 what to put into rates. That is outside our authority.

10 MR. MAGRUDER: Yup, but --

11 CHMN STAFFORD: And frankly, I don't
12 think -- I'm still talking, Mr. Magruder -- frankly, I
13 don't think it's within the Commission's authority to
14 include predetermined rate case outcomes in a
15 Certificate. So I think the problem that I'm having is
16 that your end result is not permissible under this
17 committee's, and probably not the Commission's,
18 authority. May have plenty of authority under rates, but
19 that's typically -- you have to exercise that in a rate
20 case, they have to consider fair value, but they can't
21 just kind of piecemeal -- make decisions about a future
22 rate case in a line siting case. That's just -- that's
23 not within their authority under the Line Siting
24 Statutes.

25 So with that, I think, Members, I'm -- are

1 we ready to vote on whether to allow Mr. Magruder to
2 intervene in this matter?

3 MEMBER KRYDER: Yes, sir.

4 CHMN STAFFORD: All right. Let's take a
5 roll call vote.

6 Member Kryder?

7 MEMBER KRYDER: No.

8 CHMN STAFFORD: Member Mercer?

9 MEMBER MERCER: No.

10 CHMN STAFFORD: Member Comstock?

11 MEMBER COMSTOCK: No.

12 CHMN STAFFORD: Member Fant?

13 MEMBER FANT: No.

14 CHMN STAFFORD: Member Little?

15 MEMBER LITTLE: Mr. Chairman, I -- I
16 believe that it's important that we consider public
17 input. It's the reason for public comment. It's the
18 reason that we have several members on this committee
19 that represent the public.

20 I also read what was submitted into the
21 docket, and I do have some questions for the applicant as
22 a result of the information that was presented. I would
23 also like to thank Mr. Magruder for -- for all of his
24 hard work, for the information that he provided, and I
25 would hope that other members, besides Mr. Kryder and

1 myself, read what was submitted into the docket, because
2 I believe that it's important information to consider.

3 However, I also do not believe that
4 information -- that we have the authority on this
5 committee to make any statements with regard to rates.
6 And for that reason, I also vote no.

7 CHMN STAFFORD: Member Drago?

8 MEMBER DRAGO: No.

9 CHMN STAFFORD: Member French?

10 MEMBER FRENCH: No.

11 CHMN STAFFORD: Member Fontes?

12 MEMBER FONTES: No.

13 CHMN STAFFORD: Member DiCiccio?

14 MEMBER DiCICCIO: Really quick,

15 Mayor -- Mr. Chairman, he has every right to, as every
16 other citizen does in the state of Arizona and anybody
17 who is an impacted individual, to make comments in the
18 public section, as was mentioned before. And I would
19 hope that the utility would make every effort to answer
20 those questions that he comes up with. He still has the
21 same amount of time as everybody else, and so I'm going
22 to be voting no on this, and I probably will for any
23 future issues because everyone needs to be treated
24 exactly the same.

25 Thank you, Mr. Chair.

1 CHMN STAFFORD: Thank you, Member DiCiccio.
2 And I vote no as well.

3 Mr. Magruder, you will not be granted
4 intervention. You will, however, be allowed to make
5 public comment. Since you have put a lot of thought into
6 this, I would be willing to let him make public comment
7 now, since he's already here with us, as opposed to
8 waiting to come back at 5:30.

9 Is that acceptable to the applicant?

10 MS. GRABEL: It is. Thank you,
11 Mr. Chairman.

12 CHMN STAFFORD: Member Fant?

13 MEMBER FANT: Mr. Chair, if Mr. Magruder is
14 denied intervention, will the materials he filed in the
15 docket still be part of the record?

16 CHMN STAFFORD: They're -- they're part of
17 the record at the Commission, it's filed in the docket,
18 just like anything filed in the docket is a part of the
19 Commission record. It will not, however, be part of the
20 hearing record unless -- certainly, I guess, members can
21 ask questions based on it and then the responses will be
22 on the record in the transcript.

23 MEMBER FANT: So they will be available to
24 other parties who want to see those materials?

25 CHMN STAFFORD: Yes, it's in the docket.

1 It's available to anybody.

2 MEMBER FANT: Okay. So it's -- whether or
3 not he's granted intervention, those materials are in the
4 public docket?

5 CHMN STAFFORD: Yes.

6 MEMBER FANT: All right. Thank you,
7 Mr. Chair.

8 MEMBER COMSTOCK: Mr. Chairman?

9 CHMN STAFFORD: Yes, Member Comstock.

10 MEMBER COMSTOCK: Since Mr. Magruder has
11 put so much work into this, if he's going to make a
12 public comment now, can we extend his time maybe to six
13 minutes instead of three?

14 CHMN STAFFORD: Oh, I was going to give him
15 ten.

16 MEMBER COMSTOCK: Perfect. Thank you.
17 Thank you, Mr. Chairman.

18 CHMN STAFFORD: And then after -- then
19 after his public comment, we'll get to the applicant's
20 opening statement and then get to the witnesses.

21 All right. Mr. Magruder, you are not a
22 party, but we will allow you to make public comment, and
23 we'll give you ten minutes. You need to unmute first,
24 please. You're still on mute. There you go.

25 MR. MAGRUDER: You asked about my slides.

1 I have about 30 slides, it's going to take me more than
2 ten minutes.

3 CHMN STAFFORD: Oh, you're not going to put
4 your slides on, you get to make public comment.

5 MR. MAGRUDER: Wow. Okay.

6 In 1998, there were terrible outages in
7 Santa Cruz County. And as a result, mainly due to
8 personnel there, everything was blamed on the
9 transmission lines because in Santa -- in Nogales there
10 was the one control center and when it did not receive
11 electricity, they said it was the transmission lines.
12 What it was, and it turns out to be a majority of the
13 case, it wasn't the transmission line, it was the power
14 coming to the north end of the transmission line that
15 didn't get to that line. And one of the footnotes in the
16 material I submitted from the Chairman of the Western
17 Area Power Administration said we did not turn the switch
18 and give you power, but it all was blamed on the
19 transmission line.

20 In 2002, TEP submitted a 345-kilovolt line
21 to go to Mexico and didn't really do anything for us
22 except let us get 35 megawatts from it to go to Nogales.
23 There have been numerous changes made to our present four
24 substations, in particular, going from 115 to 138, but
25 what we also have is a 46-kilovolt backup power support

1 supply from the TEP substation in Canoa, which is not
2 mentioned in this application.

3 Right now, Santa Cruz County has -- service
4 area has two different sources of electricity: One from
5 Naveo [phonetic], one from the Canoa Substation, not the
6 Canoa Ranch Substation. It's about three miles apart
7 these two substations. And they and the Chairman Mundell
8 and Mays both called it "the Marshall plan," named after
9 me, unfortunately, that put in that 46-kilovolt line so
10 that when they lost power on the primary line, that they
11 could switch to the secondary backup line by pushing a
12 button. Or. Actually, you can automatic -- gain control
13 automatically giving it additional 22 megawatts to the
14 Santa Cruz grid.

15 Down to the south there are three
16 16-megawatt generators, plus a 20-megawatt brand-new
17 LM2500 generator, so 68 megawatts of power -- backup
18 power is available in Nogales. Between the 22 and the
19 68, that's 90-plus megawatts. That's more than the peak
20 demand today, just from what we now have.

21 Technically, we don't need a second
22 anything, because we have primary and secondary. The
23 problem is TEP wants to sell power from Mexico to the
24 United States or from the United States to Mexico. Both
25 countries have a shortage of power due to the data

1 centers that are planned to be put in both countries.
2 Mexico is operating with less than a 6 percent margin of
3 power in their country. So Mexico is really hurting.

4 And Marana, according to yesterday's
5 Arizona Republic, which I have a copy here, is being
6 now -- now being asked to put in a 1,500-megawatt data
7 center that just got turned down by the City of Tucson,
8 it's the same company, and they actually want to make a
9 little bit bigger one in Marana. Again, that takes power
10 away.

11 Now, putting a line into Mexico, which is,
12 according to UniSource, the purpose of this system is to
13 completely the wires necessary to interconnect to
14 the -- to Mexico. It's not to help us -- or not to help
15 Santa Cruz County. And all of this, these three phases
16 build up to the connection to Mexico. And, to me, that
17 has no benefit to -- to Santa Cruz County.

18 And so what, generally, it looks to me like
19 is that we have one set of power lines that could take a
20 second arm on it, we could put 238-kilovolt lines or
21 138-kilovolt lines on it, and use that as a merchant
22 transmission line. Because the Hunt people and the
23 Nogales intercepts people want to put a line in, they've
24 already got their rates approved by the Federal Energy
25 Regulatory Commission to use their private line from

1 Nogales to Tucson, so they can then charge merchants,
2 people rent the lines to put their power on it. That's
3 how they're going to make money, not to handle customers.

4 My approach would be take the one set of
5 power lines we have now, put a new arm on it, and let's
6 put a second line on it. It's called a merchant line,
7 which means UniSource could make money off the merchant
8 line and mines and data centers, if they want to use that
9 power, they get the lines, they plug into that line.

10 The Rosemont Power, I intervened in that,
11 the Rosemont line is supposed -- line is supposed to
12 connect to the 138-kV. The South 32 line is supposed to
13 on our 138-kV, but they're both merchants, they're single
14 customers. They have a totally different way of
15 operating; they're 24/7 steady power. Residential
16 customers have variable power day and night, season to
17 season.

18 Also, Santa Cruz service area is in the
19 Santa Cruz Active Management border area, and uniquely in
20 Arizona, it's the only place in Arizona that is positive
21 on water. All the other active management areas are
22 negative. And the law in 1980 said that when they
23 created the Santa Cruz Active Management Area, when it
24 reaches capacity, there will be no more water permits in
25 the Santa Cruz Active Management Area, which is almost

1 identical to the Santa Cruz UniSource area.

2 They're -- the water area actually goes a little further
3 north up to the Canoa Ranch, because the Santa Cruz land
4 does not have an aquifer.

5 There's no aquifer in the Santa Cruz Active
6 Management Area. It's solid rock from 3- to 600 feet
7 below and the water goes through six different
8 micro-basins before it falls over a 2,500 cliff at Canoa
9 Ranch and feeds water to the Tucson aquifer. And so
10 Santa Cruz population is limited, which means the people
11 won't grow more than 70,000 people. That's -- Phoenix --
12 Nogales population went down in the last century, so --
13 or the last census.

14 So it's not a fast-growing neighborhood,
15 but still it is limited in its growth, which is a little
16 bit -- people don't quite understand when you don't have
17 water, you don't have water, and I've been a member of
18 this SCAMA group for a long time, and that's what we talk
19 about all the time.

20 So it's well-known, its in the County
21 Comprehensive Plan and stuff like that that we're running
22 out of -- that there is a growth potential. So if we had
23 one transmission line for the people and population,
24 which has gone up and down, and a merchant line for
25 mines, data centers, and whatever the people want to do

1 coming in their transfer of power between Mexico and the
2 United States, and they both hang on the same set of
3 monopoles, that solves the problem. Instead of three
4 different sets of transmission lines, one set is, I
5 think, all we need and those poles have already been put
6 in and have already been paid for.

7 This is over -- it might be as high as
8 \$180 million to pay for all this stuff I'm talking about.
9 And you guys are deciding who puts it in and who puts it
10 in will collect the money from somebody. They're either
11 going to collect it from ratepayers, they're going to
12 collect it from investors, or they're going to collect it
13 from shareholders.

14 And so -- and I don't know that. And
15 that's not a rate case issue, it's the big picture issue,
16 but rate case will determine if it's a prudent
17 investment, whether they've spent the money on the right
18 things, and that sort of stuff. But that's already in
19 the ground. The money's already spent. And that's why,
20 in accordance with a small section of the 40-360, it did
21 say that this committee should consider the impact of the
22 projects on rates. Not the rate case, just the impact.
23 And the impact, to me, means who puts it in and who is
24 going to get paid for it.

25 And there's a section in my paper about the

1 complex Nogales Frontier Operations Company, the Nogales
2 Interconnection Company -- Interface Company. There's a
3 Nogales Holding Company. All of these are LLCs and PCs
4 and I don't know who owns -- and there's also UniSource
5 owns a company called Millennium -- oh, MEH, it's
6 Millennium.

7 UniSource also has a company that's tied up
8 in this, and there are company agreements that have been
9 written that are legal documents, and I think that needs
10 to be -- and I know this sounds weird, but it does need
11 to be decided before you put the spade in the ground.
12 That's the only -- and the line that we're talking about
13 today is not going to be operational until 2029. They're
14 not going to start digging the holes until 2027. This is
15 2025.

16 Again, I'm not trying to delay this
17 hearing. I'm not even trying to delay the company, but I
18 see there's a big picture that is going to -- that you're
19 doing it piece by piece and the pieces might not all fit
20 together.

21 Those are my comments.

22 CHMN STAFFORD: Thank you, Mr. Magruder.

23 Ms. Grabel, would you like to make an
24 opening statement?

25 MS. GRABEL: Thank you, Mr. Chairman.

1 Actually, Mr. Ancharski will give the opening statement
2 today.

3 MR. ANCHARSKI: Thank you. Chairman,
4 Committee Members. My name is Eli Ancharski of the
5 law firm Osborn Maledon, and I represent UNS Electric, or
6 UNSE, the applicant for a Certificate of Environmental
7 Compatibility, or a CEC, to authorize the construction of
8 the Santa Cruz Reliability Project North in Pima County
9 and Santa Cruz County, Arizona.

10 You will hear this project referred to
11 as "SCR North" or simply "the project." The primary
12 purpose of this project is to add a second transmission
13 line to connect Santa Cruz County to the larger
14 regional grid in Pima County, thereby strengthening the
15 local energy grid and adding service reliability for
16 customers in Santa Cruz County. With me, from my firm,
17 is my colleague, Meghan Grabel.

18 By way of a brief summary, UNSE plant
19 proposes to construct a new, approximately 9-to-12-mile
20 138-kV transmission line to connect Tucson Electric Power
21 Company's existing Canoa Ranch Substation in Pima County
22 to UNSE's existing Kantor Substation in Santa Cruz
23 County. The project will be located in unincorporated
24 Pima County and unincorporated Santa Cruz County, and
25 will cross private, County, and State Land. While not

1 jurisdictional, and thus not a part of this CEC
2 application, the Committee will also hear that UNSE plans
3 to expand the Kantor Substation in Santa Cruz County as
4 part of this project. The expansion will extend the
5 property boundaries by about 20 acres to accommodate
6 setbacks, security, and operations and maintenance
7 requirements. The substation improvements will further
8 support reliability for customers, allowing UNSE to
9 perform maintenance without interrupting circuit
10 operations.

11 Before getting into more detail on SCR
12 North, it's important to take a step back and understand
13 how this project fits into UNSE's larger planning
14 efforts. UNSE's Santa Cruz County electric system is
15 currently served by a single 138-kV transmission line
16 from TEP's Vail Substation near Tucson to UNSE's Valencia
17 Substation in Nogales in Santa Cruz County. Although
18 UNSE has performed significant upgrades to the
19 transmission system and has explored all options for
20 additional improvements, Santa Cruz County's system still
21 relies on this single transmission line.

22 SCR North is the first of three phases UNSE
23 is planning to upgrade to improve the high-voltage
24 transmission system serving Santa Cruz County. This
25 three-phase upgrade is collectively referred to as the

1 Santa Cruz Reliability Project.

2 In the second phase, UNSE will upgrade the
3 existing transmission line conductor from TEP's Vail
4 Substation to UNSE's Kantor Substation to enhance the
5 reliability and resiliency of the transmission line by
6 reducing current capacity limitations. Phase 2 has
7 already been approved by the Arizona Corporation
8 Commission in Decision Number 76468.

9 The third phase will connect the expanded
10 Kantor Substation to the Valencia Substation, thereby
11 completing the looped system to Santa Cruz County.
12 Ultimately, the loop system will further increase
13 reliability and resiliency by adding a second path of
14 transmission to this area.

15 So why is the Santa Cruz Reliability
16 Project so important? These two depictions
17 provide a high-level representation of the existing and
18 planned infrastructure in the region. Our witnesses will
19 go into greater detail on these figures. Currently, as I
20 mentioned, Santa Cruz County relies on a single, or
21 radial, transmission line connecting Santa Cruz County to
22 Pima County through the Kantor Substation. In simpler
23 terms, there is only one transmission line connecting
24 most of Santa Cruz County to the larger, more integrated
25 grid in Pima County.

1 As shown on the figure on the left screen,
2 the only transmission line serving Santa Cruz County runs
3 from Pima County, delivering electricity from the
4 regional electric grid near Tucson. While two additional
5 transmission lines cross through the extreme east side of
6 Santa Cruz County, over 35 miles away, these lines
7 deliver electricity to Ft. Huachuca and Sierra Vista in
8 Cochise County. No other transmission lines exist in
9 Santa Cruz County.

10 For those with an engineering mind, Member
11 Little, the one-line diagram on the right side of
12 the screen depicts the existing infrastructure connecting
13 the larger grid in Pima County to the portion of the
14 Santa Cruz County served by UNSE through the Kantor
15 Substation shown in orange. The shorter red line
16 represents the current project, Santa Cruz Reliability
17 North.

18 By adding SCR North, you can see that there
19 are now two connections into the Kantor Substation,
20 thereby establishing the first loop on the system. You
21 will hear much more about how loop systems enhance the
22 reliability and resiliency of the grid in Santa Cruz
23 County during the hearing in this case.

24 Importantly, this one-line diagram also
25 highlights the need for the project, which I will go into

1 further detail momentarily. Should the existing line go
2 down, either for maintenance or due to an unplanned
3 outage, between the TEP Vail Substation, shown in green
4 at the top right of the figure, and the Kantor
5 Substation, shown in orange, Santa Cruz County is
6 susceptible to larger sustained outages.

7 This map, which has been marked as Exhibit
8 UNS-2, is an overview for the project. The map
9 identifies the preferred and alternative routes, as well
10 as the two connection points for the project. The
11 northern connection point being the Canoa Ranch
12 Substation and the southern connection point is the
13 Kantor Substation, both of which are in operation today.

14 Following an extensive siting, and public
15 outreach and engagement process, UNSE is proposing two
16 routes that would connect the Canoa Ranch Substation
17 and the Kantor Substation. UNSE's preferred route is
18 shown in purple and the alternative route is shown in
19 green.

20 The length of the preferred route is
21 approximately nine miles and The length of the
22 alternative route is approximately 12 miles. Each route
23 will occupy a combination of land owned by Arizona State
24 Land Department, Pima County, and private ownership.
25 UNSE plans to obtain up to 100-foot right-of-ways

1 and easements for construction and operation and
2 maintenance, and up to 500-foot wide siting corridors.

3 The preferred route was chosen because
4 among other things, the preferred route provided a
5 balance of the following factors: The route avoids
6 placement of a new transmission line near existing large
7 residential neighborhoods, as most of the route is
8 located along existing roads adjacent to low-density
9 rural residential and vacant State Trust Land. The
10 visual impact and other perceived impacts were lower.
11 The route had minimal public opposition and this route is
12 the shortest and has the lowest estimated cost.

13 While UNSE has identified and proposes a
14 preferred route, both routes presented in this
15 application meet the purpose and need of the project and
16 measure well against the factors to be considered by the
17 committee and Arizona Corporation Commission.

18 As I have mentioned, the primary need for
19 this project is to add a second 138-kV transmission line,
20 thereby transforming the system into a looped
21 configuration to support seamless power delivery, even if
22 one line goes down or is taken out of service for
23 maintenance. Looped systems are preferred because
24 they're much more reliable. For example, if a segment of
25 a looped system failed, electricity can be provided from

1 the other direction, thus reducing the frequency,
2 magnitude, and duration of potential outages.

3 The project will mitigate customer outages
4 due to a single contingency on the transmission system.
5 Just a few slides ago, we saw that single contingency as
6 it exists today. Customers will immediately benefit from
7 the loop system because UNSE will be able to instantly
8 reroute power in the event of an outage on the system.
9 The project will also enable the provision of higher
10 quality power, such as reduced voltage flicker and line
11 sag.

12 While not the driving consideration of this
13 project, it's important to acknowledge that the project
14 would expand transmission capacity to meet both current
15 and future energy demand, as well as aiding in times of
16 peak power demand during high temperatures and other
17 extreme weather events. Although the project is part of
18 UNSE's planning efforts, it's critical to recognize that
19 the purpose and benefits still hold true, even in the
20 absence of the other phases. If approved, SCR North will
21 create an additional path to the Kantor Substation,
22 thereby reducing reliance on the radial line from Vail
23 alone.

24 In sum, the evidence will show that the
25 project will allow UNSE to meet its obligation to provide

1 power to its customers, it will enhance reliability for
2 customers in the area, and will have a minimal impact on
3 the environment and ecology of this state.

4 This evidence will be supported by the
5 testimony of three witnesses, who will be presented as
6 three separate panels. Our first panel will be a panel
7 of one, Mr. Clark Bryner. Mr. Clark Bryner is the
8 manager of siting, outreach, and engagement for UNSE and
9 TEP. Mr. Bryner will introduce TEP -- sorry, UNSE and
10 the project, including the proposed routes, and he will
11 describe its general characteristics. Mr. Bryner will
12 describe the project's purpose and benefits, as well the
13 need for the project.

14 Mr. Chris Ortiz y Pino will then join
15 Mr. Bryner as our second panel. Mr. Ortiz y Pino is a
16 siting, outreach, and engagement project manager for UNSE
17 and TEP. Mr. Ortiz y Pino and Mr. Bryner will describe
18 the project's compliance with land use plans and UNSE's
19 analysis of those factors as they relate to the project.
20 Mr. Ortiz y Pino and Mr. Bryner will also testify to the
21 route descriptions and characteristics, including
22 environmental analysis, such as cultural and biological
23 considerations. This panel will also guide the virtual
24 tour and discuss the visual aspects of the project.

25 Finally, Ms. Adriana Mariñez will join

1 Mr. Clark Bryner on panel three to discuss the project
2 siting process and public outreach performed for the
3 project. Ms. Mariñez is a senior siting, outreach and
4 engagement project manager for UNSE and TEP. As a whole,
5 our panels will discuss the project in the context of the
6 factors required for the committee's consideration under
7 Arizona Revised Statute Section 40-360.06.

8 Moving on to some administrative items.

9 Each of the committee members present should have binders
10 or iPads with all of the exhibits and materials that the
11 UNSE team intends to use during the hearing in this
12 matter. At the front of each binder is a list of the
13 exhibits we will review over the next couple of days.
14 Each binder also has a flash drive that includes all of
15 these exhibits, as well as the virtual tour you will see
16 during the hearing.

17 Exhibit UNS-15 is the proposed form of CEC
18 that we will review at the close of the hearing. As
19 required by the procedural order it contains references
20 to --

21 (Interruption in the proceedings.)

22 CHMN STAFFORD: Where is that coming from?
23 Mute that.

24 AV TECHNICIAN: Whoever it was, they've
25 muted themselves.

1 CHMN STAFFORD: Okay. All right. Please
2 proceed, Mr. Ancharski.

3 MR. ANCHARSKI: Thank you.

4 As required by the procedural order, it
5 contains references to case numbers from which the
6 conditions contained in the CEC were taken.

7 Based on the evidence we will present, we
8 are confident that you will conclude that the Santa Cruz
9 Reliability Project North will meet Arizona's need for an
10 adequate, economical, and reliable supply of power with
11 minimal impacts to the environment and ecology of the
12 state, and we respectfully ask that you approve the
13 requested CEC.

14 With that, we're ready to begin our
15 evidentiary presentation. Thank you.

16 CHMN STAFFORD: Thank you.

17 So I guess you're going to call your first
18 panel of one?

19 MS. GRABEL: We'll call our panel of one,
20 Mr. Clark Bryner.

21 CHMN STAFFORD: Mr. Bryner, do you prefer
22 an oath or affirmation?

23 MR. BRYNER: An oath, please.

24 (Clark Bryner was duly sworn by the
25 Chairman.)

1 CHMN STAFFORD: Please proceed.

2 MS. GRABEL: Thank you.

3

4 CLARK BRYNER,

5 called as a witness on behalf of the Applicant, having

6 been previously affirmed or sworn by the Chairman to

7 speak the whole truth and nothing but the truth, was

8 examined and testified as follows:

9

10 D I R E C T E X A M I N A T I O N

11 BY MS. GRABEL:

12 Q. Mr. Bryner, please state your name and business
13 address for the record.

14 A. (MR. BRYNER) My name is Clark Bryner. My
15 business address is 88 East Broadway, Tucson, Arizona.

16 Q. By whom are you employed and in what capacity?

17 A. (MR. BRYNER) I'm employed by Tucson Electric
18 Power, as well as UNS Electric, as the manager of siting,
19 outreach and engagement.

20 Q. Thank you.

21 And what was your role in this project?

22 A. (MR. BRYNER) On the Santa Cruz Reliability
23 Project North, I've served as the lead project manager
24 overseeing the siting, the outreach and engagement, as
25 well as the preparation of the CEC application and the

1 supporting exhibits.

2 Q. Thank you.

3 And do you have before you the book of the
4 exhibits?

5 A. (MR. BRYNER) I do.

6 Q. Will you please look at Exhibit UNS-1, which is
7 the CEC application that was submitted for this matter?

8 A. (MR. BRYNER) Okay.

9 Q. Have you seen the CEC application before?

10 A. (MR. BRYNER) Yes, I have.

11 Q. Was it prepared by you or under your direction
12 and control?

13 A. (MR. BRYNER) Yes.

14 Q. Are the statements contained within UNS-1 true
15 and correct to the best of your knowledge?

16 A. (MR. BRYNER) Yes, they are.

17 Q. Do you have any corrections that you would like
18 to make to UNS-1?

19 A. (MR. BRYNER) We do have a few scrivener's errors
20 that we -- we corrected.

21 Q. And are those corrections contained in the
22 Notice of Errata that we filed in the docket on
23 October 30th of this year?

24 A. (MR. BRYNER) Yes.

25 Q. Will you briefly describe those corrections?

1 A. (MR. BRYNER) Yeah. They're all simply dates and
2 publications of newspapers that -- where we published
3 notices or advertisements for our public meetings in
4 support of the siting phases of the project, nothing to
5 do with this hearing. We just had a couple of dates and
6 attendees wrong for those meetings.

7 Q. Is the Notice of Errata that we filed marked as
8 UNS-21?

9 A. (MR. BRYNER) Yes, it is.

10 Q. And was that prepared by you or under your
11 direction and control?

12 A. (MR. BRYNER) Yes.

13 Q. Thank you.

14 Will you please turn to UNS-2, which is the map
15 of the proposed project.

16 A. (MR. BRYNER) Okay.

17 Q. Was UNS-2 prepared by you or under your
18 direction and control?

19 A. (MR. BRYNER) Yes, it was.

20 Q. Is UNS-2 the same map that is on the placemat in
21 front of the committee members?

22 A. (MR. BRYNER) It's not the exact same map, but
23 it's substantially similar.

24 Q. And cleaner to read?

25 A. (MR. BRYNER) Yeah.

1 Q. Will you, just as long as we have the placemat
2 there, will you describe what else is depicted on the
3 placemat?

4 A. (MR. BRYNER) Sure.

5 So in addition to the -- to the map that we just
6 described, which is on the right-hand side of the front
7 of the placemat, on the left-hand side there is an
8 infographic summarizing the public outreach and
9 engagement activities that we undertook over the course
10 of almost two years on this project.

11 Also, just below the map is a short summary
12 table comparing the two alternative routes, with respect
13 to the factors that we considered in siting the line and
14 determining which route was our preferred route. And if
15 you flick over -- flip over to the back side, we have
16 four image sets that represent photographic simulations
17 of what either the preferred or the alternative route
18 would look like from various key observation points
19 within the project area. And those -- those key
20 observation points are actually identified on the map on
21 the front page of the placemat with a red dot and some --
22 a directional triangle.

23 Q. Thank you.

24 Are we going to review all the material that's
25 on the placemat later in this presentation?

1 A. (MR. BRYNER) Yes, we will.

2 Q. And if you'll turn to Exhibit UNS-3, which is
3 the testimony summary of Clark Bryner.

4 A. (MR. BRYNER) Okay.

5 Q. Was UNS-3 prepared by you or under your
6 direction and control?

7 A. (MR. BRYNER) Yes.

8 Q. And are the contents of UNS-3 true and correct,
9 to the best of your knowledge?

10 A. (MR. BRYNER) Yes, they are.

11 Q. Do you have any changes to UNS-3?

12 A. (MR. BRYNER) No.

13 Q. All right. And, finally, will you turn to
14 Exhibit UNS-6, which is the PowerPoint presentation that
15 we've prepared for the hearing.

16 A. (MR. BRYNER) Okay.

17 Q. Was UNS-6 prepared by you and under your
18 correction and control?

19 A. (MR. BRYNER) Yes.

20 Q. Are the contents true and correct to the best of
21 your knowledge?

22 A. (MR. BRYNER) Yes.

23 Q. And do you have any changes you would like to
24 make to UNS-6?

25 A. (MR. BRYNER) Not at this time.

1 Q. Thanks.

2 I guess go ahead and begin your presentation.

3 And if you'd first go through your background a little
4 bit more for the committee members, so they can see how
5 expert you are.

6 A. Okay. Very good.

7 Okay. So as was already stated, my name is
8 Clark Bryner. I've testified before this committee a
9 number of times, so I apologize if some of this is
10 repetitive. But I have a bachelor of arts degree in
11 geography and a master of science degree in bioregional
12 planning, both from Utah State University. I'm an active
13 member of the American Planning Association. And I am a
14 certified planner, which is a certification that I've
15 maintained since 2011.

16 I have over 19 years of experience in the
17 electric utility industry, primarily with TEP and UNSE,
18 working in a variety of different roles. Over the past
19 three years I've been in my current role as the manager
20 of siting, and I spent the previous 10 years in
21 maintenance planning and asset management roles where I
22 had direct responsibility for the maintenance of our
23 transmission system. And then I had an additional six
24 years in environmental planning and permitting roles,
25 both with the company, as well as a consultant.

1 So just to give you a little bit more
2 information about UniSource Energy Services, because you
3 may be less familiar with this than you are with our
4 sister company Tucson Electric. So we are sister
5 companies with them, both under the UNS Energy corporate
6 umbrella. UniSource provides both electric and gas
7 service throughout portions of Arizona. UNS Electric, or
8 UNSE, provides electric service to most of Mohave County
9 and most of Santa Cruz County. Those areas are shown in
10 green on the left-hand side of the illustration on slide
11 3. UNS Gas provides gas service to much of Northern
12 Arizona, as well as Santa Cruz County. And those areas
13 are shown in blue on the right-hand side of the
14 illustration on slide 3.

15 And just a little bit more about us. In
16 total, UNSE, so the electric side of UNS, serves a little
17 over 100,000 customers, representing a population of
18 around a quarter million within a service territory just
19 over 8,000 square miles, or to put that in context, it's
20 about the size of the state of Massachusetts.

21 All right. So I hope that this portion of
22 the presentation will kind of give you that big-picture
23 look that we just heard about in public comment on -- on
24 the overall Santa Cruz Reliability Project.

25 So just to give it a little bit of context,

1 the regional electric grid in southeast Arizona includes
2 high-voltage transmission lines that import electricity
3 from the north, east, and west into the Tucson metro
4 area. That energy has been spread through hundreds of
5 miles of lines throughout the region.

6 Today, UNSE's customers in Santa Cruz
7 County are primarily served by a single 138-kV
8 transmission line with it's source at TEP's Vail
9 Substation, so the Vail Substation located just off of
10 Interstate 10 in the southeast area of Tucson.

11 MEMBER LITTLE: Mr. Chairman?

12 CHMN STAFFORD: Yes, Member Little.

13 MEMBER LITTLE: And the source of that
14 power into Vail is the WAPA line; is that correct?

15 MR. BRYNER: So that is incorrect. So the
16 source of the power into Vail, it comes off of
17 various -- the Vail Substation is very interconnected.
18 So TEP has two 345-kV EHV lines coming in from the east
19 that bring in power from the Springerville, Four Corners
20 area, as well as from New Mexico. There are also --
21 there's also a 345-kV line coming in from the west,
22 bringing in power from the Phoenix area, Gila Bend areas.
23 And then you have an AEPCO 230-kV line that interconnects
24 there. And a number of 138-kV lines that are operated
25 by -- by Tucson Electric Power.

1 MEMBER LITTLE: And where does UNSE get its
2 power?

3 MR. BRYNER: It -- it comes out of Vail
4 Substation.

5 MEMBER LITTLE: I realize that, but I'm
6 saying is it -- UNSE doesn't have its own generation,
7 does it purchase it from TEP? Does it -- where does --
8 how does that work?

9 CHMN STAFFORD: I guess you mean in this
10 county, because we know they have --

11 MEMBER LITTLE: Right. Yes. Yes.

12 CHMN STAFFORD: -- up in the Kingman
13 area --

14 MEMBER LITTLE: I'm talking about down
15 here, yes.

16 CHMN STAFFORD: Okay.

17 MR. BRYNER: So, yes, Member Little, so
18 UNSE does have generation. So UNSE, as we've discussed
19 in prior cases, there's generation in Mohave County.
20 UNSE owns a portion of the Gila River Generating Station
21 in Pinal County. It also owns turbines in Valencia that
22 I'll talk about here in just -- or, sorry, the Valencia
23 Substation in Nogales, that I'll talk about here in just
24 a minute. And it owns portions of other generation
25 resources in other parts, and then, of course, through

1 the regional grid.

2 MEMBER LITTLE: Thank you.

3 Oh, one other question. And where is this
4 46-kV line that has been spoken about before?

5 MR. BRYNER: So I have a slide literally on
6 the next one, as soon as I click "next" it will pop up.

7 MEMBER LITTLE: I'm just way ahead of you,
8 Clark.

9 MR. BRYNER: So thank you for the segue.
10 So there are two other partial sources of
11 power to our customers in Santa Cruz County. So just
12 like Member Little pointed out, we do have the 46-kV tie
13 line that goes from the Green Valley area to UNSE's
14 Kantor Substation, and then we have also the -- we have
15 four gas-fired turbines in Nogales. But these sources
16 don't have the ability to provide reliable service to all
17 of our -- all of our customers in Santa Cruz County, in
18 the absence of the 138-kV transmission line.

19 CHMN STAFFORD: Mr. Bryner, the Valencia
20 Power Plant on your map, what is the capacity of the
21 total plant and what capacity is for UniSource?

22 MR. BRYNER: So the total name -- if you
23 add up the nameplate capacity, it's just under
24 70 megawatts. But there's a restriction on that because
25 of gas availability and gas pressure. Similar to this

1 electric line, the gas, it's the tail end of El Paso
2 System, and so we're limited to 30 megawatts that we can
3 generate out of that station.

4 CHMN STAFFORD: So you've got 40 megawatts
5 that you can't use?

6 MR. BRYNER: So --

7 CHMN STAFFORD: I'm talking nameplate --
8 but the nameplate we know that's the unattainable
9 asymptotic limit, because let's face it, we never have
10 ideal ambient operating conditions in this state, so --

11 MR. BRYNER: Sure.

12 CHMN STAFFORD: So you said that it's
13 70 megawatts total in the Valencia plant but you can only
14 put out 30 because of the gas restrictions?

15 MR. BRYNER: Correct.

16 MEMBER LITTLE: Mr. Chairman?

17 CHMN STAFFORD: I'm sure there's an
18 interesting story behind how that happened but that's
19 kind of outside the scope of this proceeding perhaps, but
20 Member Little?

21 MEMBER LITTLE: Several or maybe many years
22 ago, I toured that plant when it first -- when the black
23 start capability was first put in. Has there been much
24 experience in the use of that black start capability
25 since then?

1 MR. BRYNER: To my -- sorry.

2 MEMBER LITTLE: Go ahead.

3 MR. BRYNER: To my understanding, there is
4 no black start at Valencia. They have cold start, but
5 they don't have black start capabilities.

6 MEMBER LITTLE: Interesting. Thank you.

7 MR. BRYNER: And I just was looking at my
8 slide here and I -- 75 megawatts is the nameplate, so I
9 was slightly off.

10 CHMN STAFFORD: So about 70 net operating
11 capacity, but then -- but it's cut down to 30 because of
12 the gas constraints?

13 MR. BRYNER: Yeah, correct.

14 MEMBER COMSTOCK: Mr. Chairman?

15 CHMN STAFFORD: Yes, Member Comstock.

16 MEMBER COMSTOCK: Mr. Bryner, Kinder Morgan
17 and Phillips 66 have announced open season on the new
18 liquids and gas line to come through southern Arizona.
19 Will UniSource be looking to get some supply for them to
20 help increase the availability at Valencia?

21 MR. BRYNER: I'm aware of that line, but
22 I'm not aware of any discussions on increased capacity to
23 Santa Cruz County.

24 MEMBER COMSTOCK: Thank you.

25 MR. BRYNER: All right. So because of the

1 way things are configured, if the 138-kV transmission
2 line goes out of service, it could cause an outage that
3 affects all UNSE customers in Nogales, Rio Rico, and
4 other areas in Santa Cruz County that are served by UNSE.

5 CHMN STAFFORD: Would that include the
6 mine?

7 MR. BRYNER: Which mine are we talking
8 about?

9 CHMN STAFFORD: The one that has the Rio
10 Rico to Harshaw one, serving it, the new one.

11 MR. BRYNER: They're a customer there, so
12 yes, they would be affected.

13 CHMN STAFFORD: Okay.

14 MR. BRYNER: So the most recent
15 large-scale, unplanned outage that affected Santa Cruz
16 County occurred on February 1st of 2023. This outage
17 occurred as a result of a hardware failure on the single
18 138-kV transmission line serving the Santa Cruz River
19 Valley and resulted in an outage that extended throughout
20 the day. Schools, businesses, and government offices
21 were forced to close. Across-the-border trade between
22 the United States and Mexico was interrupted, which was
23 significant not just for the immediate area, but for
24 really the country as a whole, because 39 percent of all
25 of our imported fresh produce consumed in the country

1 comes in through Nogales.

2 And also, as mentioned by Mr. Magruder
3 during the public comment, this isn't the first time that
4 electrical reliability has been a concern for Santa Cruz
5 County, which is why UniSource is proposing a second
6 138-kV transmission line in this area. We want to
7 convert that radial line or that single-line
8 configuration into a more reliable loop transmission
9 system, and so yes, we have divided it into three phases.

10 So the first phase, which of course is the
11 focus of our hearing today, is designed to upgrade UNSE's
12 Kantor Substation in Santa Cruz County and regional
13 electric grid in Pima County. The second phase would
14 expand energy capacity by upgrading a portion of the
15 existing 138-kV transmission line from the Vail area,
16 more specifically from the former Nogales tap to the
17 Kantor Substation. And this upgrade was approved in
18 2017, as part of case 176, under Decision Number 76468.

19 CHMN STAFFORD: Say that decision number
20 one more time.

21 MR. BRYNER: 76468.

22 And then in the third phase, UNSE plans to
23 add a second 138-kV circuit from the Kantor Substation to
24 the Nogales area. All three of these phases will
25 complete a fully redundant loop transmission service to

1 UNSE customers in Santa Cruz County, and as a result
2 power outages will be less likely because UNSE will be
3 able to serve -- or supply energy for more than one
4 direction, the substations that support service to our
5 residents, businesses, service providers and other
6 customers in Santa Cruz County.

7 It will also be possible to remove a
8 portion of the line from service so that we can perform
9 needed maintenance and do that without interrupting
10 service to our customers. One thing I do want to just
11 point out on this slide is there is no interconnection to
12 Mexico as part of this project. This is purely to serve
13 customers in Santa Cruz County.

14 MEMBER KRYDER: Mr. Chairman?

15 CHMN STAFFORD: Member Kryder.

16 MEMBER KRYDER: Three phases, basically one
17 project, I'm recalling some of the other projects that
18 we've recently looked at, and the question that came to
19 my mind as I looked through all of this, Mr. Bryner, was
20 what happens if any one of these three phases doesn't get
21 its CEC?

22 MR. BRYNER: Thank you, Member Kryder, for
23 your question. So that's a good question. So each of
24 these phases has independent utility of the other.
25 Together, clearly, they form a better project, and we're

1 able to see the full potential of the project. But for
2 phase 2 -- so phase 2, and I'll discuss this in a
3 little -- in a little bit here, but phase 2 needs phase 1
4 in order to be built. Phase 3 could be built
5 independent; phase 1 could be built independent.

6 MEMBER KRYDER: Thank you very much.
7 That's really helpful in looking at the bigger picture
8 and looking at some of the comments that we've heard
9 earlier. Thank you very much, Mr. Bryner.

10 MR. BRYNER: Thank you.

11 So this next slide, I'm going to spend
12 quite a bit of time on this slide, and I think, again, as
13 you heard through the public comment something about the
14 history on this. So I'm going to walk through this
15 because the concept of this second transmission line to
16 Santa Cruz County isn't new, it's been discussed for
17 nearly three decades.

18 Citizens Utilities Company owned and
19 operated the transmission and distribution utility
20 serving the Santa Cruz River valley in the '90s.
21 Transmission service was provided through Western Area
22 Power Administration's system at the Nogales tap near
23 Tucson and transmitted through a 115-kV transmission line
24 supported by aging wood H-frame structures.

25 Now, as you heard from Mr. Magruder,

1 reliability wasn't great, and in 1998, the City of
2 Nogales filed a complaint with the Arizona Corporation
3 Commission seeking relief. As a result, in 1999,
4 Citizens entered into a settlement agreement that was
5 approved by the Commission to take a number of measures
6 to improve electric service reliability. One of those
7 measures was to construct a second transmission line by
8 2003.

9 In 2001, Citizens filed a joint application
10 with Tucson Electric Power for a double-circuit
11 transmission line to Santa Cruz County with a 115-kV
12 circuit owned and operated by Citizens, and a 345-kV
13 circuit that was owned and operated by TEP. That was the
14 case 111 that Mr. Magruder mentioned.

15 So that CEC was approved in January 2002.
16 The record of decision that was issued through a separate
17 federal environmental review process was inconsistent
18 with the state-issued CEC. And after several years of
19 impasse, the project essentially died on the vine.
20 Meanwhile --

21 CHMN STAFFORD: Mr. Bryner, I seem to
22 recall that project. That was the one where they -- I
23 think it was the Forest Service that's actually refused
24 to allow the project?

25 MR. BRYNER: I would say your recollection

1 is correct.

2 CHMN STAFFORD: Okay.

3 MR. BRYNER: So in 2003, Citizens Electric
4 assets in Santa Cruz County were purchased by UNS Energy
5 and the utility became UNS Electric. Now, subsequently,
6 under new ownership, UNSE made a number of system and
7 operational improvements between 2003 and 2013.

8 Some of these were already mentioned by
9 Mr. Magruder. These were done to improve the reliability
10 of electrical service in Santa Cruz County. So these
11 included installation of capacitor banks on the 115-kV
12 system to provide voltage support. They also included
13 the installation of that emergency 46-kV tie between TEP
14 system and the Kantor Substation. It included remote
15 monitoring and control of substations, including remote
16 start and operations of the generating units at Valencia.

17 Also, a number of improvements to our work
18 and asset management systems, as well as mapping the
19 electrical assets in our Geographic Information System,
20 or GIS. Also, since UNSE was now a sister company with
21 TEP being adjacent to one another. In the event of an
22 outage, UNSE could call upon TEP crews to help with
23 restoration in a more timely manner. And one of the
24 largest improvements was rebuilding the 115-kV
25 transmission line from those old wood H-frame structures

1 to steel monopoles, as well as upgrading the voltage of
2 the transmission line from 115-kV to 138-kV and changing
3 the point of interconnection to the regional grid from
4 that WAPA Nogales -- from WAPA's Nogales tap to TEP's
5 Vail Substation. That also removed a 50-megawatt
6 contractual constraint on the amount of power that was
7 available to import to Santa Cruz County.

8 That rebuild and voltage conversion was
9 approved in 2009, that was through Line Siting Case 144,
10 and it was completed in 2013. As I mentioned before, the
11 Vail Substation is highly interconnected with the
12 regional grid, so it was a much stronger point of
13 interconnection than was the Nogales tap. So all of
14 these system and operational improvements resulted in
15 substantial improvement in reliability and a significant
16 reduction in restoration time in the event of an outage.

17 So as a result, UNSE reevaluated the need
18 for a second transmission line, and in 2012, determined
19 that a second line was no longer necessary in order to
20 provide safe, reliable service to customers in Santa Cruz
21 County, and it wasn't a cost-effective measure to ensure
22 continuity of service to our customers in Santa Cruz
23 County, because of the increased cost of service that it
24 would add to our customers.

25 Of course, as we know, things change. In

1 2021, UNSE triggered a RMR, or a Reliability Must Run,
2 study requirement, due to our actual load exceeding our
3 projected load. I'll talk a little bit more about the
4 details of that on the next slide. But throughout all of
5 these things, UNSE continually evaluated the need for a
6 second transmission line. And in 2023, again,
7 recommended the construction of a second transmission
8 line to Santa Cruz County.

9 Lastly, before we leave this slide, I'm
10 going to briefly address each phase of the project and
11 why we parsed it out in the way we did. So as you can
12 see from the map that it's a big overall project. It
13 covers a large area geographically from north to south.
14 It's around 70 miles. It goes through several distinct
15 communities that each have their own unique values.
16 Further, there's engineering and logistics concerns that
17 we need to consider.

18 As a result, we broke the project into
19 these phases, each with its own specific benefits, and
20 not just for construction, but we also did this for
21 siting. By phasing the siting of the project to mirror
22 the construction of the project, it allows us to better
23 balance the need for the project with a solution that
24 balances the unique environmental factors and community
25 values of each specific area without those -- without

1 them being watered down by those values of another area
2 within the footprint of the overall -- or larger overall
3 project.

4 So the first phase of the project which we
5 have projected to be completed by 2028 is the Santa Cruz
6 Reliability Project North. Of course it's the -- the
7 discussion of our hearing here. The purpose of this
8 first phase is to get a new 138-kV source connecting the
9 regional grid with the Santa Cruz system.

10 The closest possible point to do this is by
11 interconnecting the southern point of TEP's transmission
12 system at the Canoa Ranch Substation with UNSE's Kantor
13 Substation. While this wouldn't provide redundant
14 transmission service to all Santa Cruz County, it does
15 mitigate about 50 percent of the risk and it also
16 increases capacity substantially.

17 As you'll hear about in this hearing, this
18 first phase would add a new line through the Green Valley
19 area. The Green Valley area is a unique community
20 comprised primarily of a retired population. And it's
21 distinct from communities that are further to the south
22 in the Santa Cruz County.

23 Phase 2, which we have projected to be
24 completed in 2029, as I mentioned before, is actually --
25 it is dependent on phase 1. Phase 2 will reconductor an

1 almost 30-mile-long portion of the existing 138-kV
2 transmission line between that former interconnection
3 point with WAPA at the Nogales tap and the Kantor
4 Substation.

5 CHMN STAFFORD: You said that phase 2 is
6 dependent on phase 1?

7 MR. BRYNER: It is.

8 CHMN STAFFORD: Okay.

9 MR. BRYNER: Even though phase 2 was
10 approved previously, again, situations change. So just a
11 little bit of context, so from Kantor to Nogales, that
12 portion of the line was rebuilt under that case 144. So
13 in order to do that, we were able to run generation at
14 Valencia and use some of that power from the 46-kV line
15 to serve the loads in Santa Cruz County and, you know, do
16 the construction while keeping our -- while serving our
17 customers. Since then our loads have grown in Santa Cruz
18 County. We're no longer able to just serve the customers
19 there out of local generation in that 46-kV line. So we
20 can't take this line out of service in order to rebuild
21 it, without phase 1 being in place.

22 BY MR. ANCHARSKI:

23 Q. Mr. Bryner, when you rebuilt that -- that lower
24 portion of the project, did you have timing
25 considerations or seasonal considerations that you also

1 took into account when you chose to take that line out of
2 service?

3 A. (MR. BRYNER) Yes, we did. So, again, we had to,
4 you know, you had to time outages on those shoulder
5 seasons, the beautiful fall and spring days when you
6 could -- you could meet those electrical (inaudible) of
7 the community.

8 THE REPORTER: Electrical what?

9 MR. BRYNER: Requirements. Sorry.

10 So on this -- on this -- this portion,
11 phase 2, the line was actually rebuilt by Citizens in
12 1989. So that was case 78. But the conductor for this
13 line is the limiting factor. And so it limits our
14 ability to import electricity into Santa Cruz County
15 today.

16 MEMBER COMSTOCK: Mr. Chairman?

17 CHMN STAFFORD: Yes, Member Comstock.

18 MEMBER COMSTOCK: Mr. Bryner, considering
19 that you used the term "retired" in Green Valley, do you
20 find that your load profile is evening out now? Do we
21 see as many winter visitors there or has the population
22 grown to the point that you need year-round service to be
23 able to provide to the total population there?

24 MR. BRYNER: We're talking about the
25 population in Green Valley?

1 MEMBER COMSTOCK: On the entire phase 1,
2 phase 2 of the project.

3 MR. BRYNER: So --

4 MEMBER COMSTOCK: I believe I heard you say
5 the population in the area is increasing, demand is
6 increasing, so is your load profile evening out
7 throughout the year?

8 MR. BRYNER: So, Member Comstock, so let me
9 just clarify, so in Green Valley in that area that's
10 served by Tucson Electric, so it's not served by this
11 project. We're crossing through that area as part of
12 this project but this project doesn't serve that
13 community. Also I'll just clarify that while our loads
14 have grown in Santa Cruz County, this project is
15 not -- it's not to meet load growth, it's to meet
16 reliability needs. And, lastly, to really answer your
17 real question which was about the load profile, I don't
18 know about Green Valley, whether or not it's -- we have
19 seasonal fluctuations or not. I would have to find out.

20 MEMBER COMSTOCK: Thank you.

21 MR. BRYNER: So moving on to phase 3, so
22 this final phase of this project is projected to be
23 completed in 2030, it would add a second circuit from the
24 Kantor Substation to the Nogales area, which would
25 ultimately complete a fully redundant loop transmission

1 system throughout the Santa Cruz River valley. The area
2 through which this second circuit would pass is, again,
3 unique and different from the area through which phase 1
4 would pass. So, again, in order to fully understand the
5 community values and concerns, along with the various
6 environmental factors pertinent to this area, we
7 undertook a separate siting study to determine the best
8 route for this new circuit, and we wanted that to be
9 heard as a separate case before this committee.

10 So I don't want to get into too many of the
11 details on that project right now, but last month we made
12 a decision and we shared it publicly -- publicly in
13 meetings just last week, actually, that the best solution
14 for this phase of the project was to add a second circuit
15 to the existing pole line versus building an independent
16 pole line.

17 I saw Member Little's mouth open there.
18 She's thinking about the reliability concerns. But it
19 is -- it will be substantially better. And as a company,
20 you know, overall looking at all three phases of this
21 project we're very excited that by 2030, more than three
22 decades after the need for a second line was identified
23 for Santa Cruz County, we'll finally have that continuity
24 level of service, versus a simple restoration level of
25 service that will essentially eliminate transmission

1 outages and will dramatically reduce the likelihood of an
2 outage. It will also, as a side benefit, ensure that
3 TEP -- or UNSE, Freudian slip, will have capacity to
4 serve both the current and future customers as the area
5 continues to grow.

6 BY MS. GRABEL:

7 Q. Mr. Bryner, before you move on, to address
8 Member Kryder's earlier question about needing a CEC for
9 each of the three phases, we already have a CEC for phase
10 2, correct?

11 A. (MR. BRYNER) That's correct.

12 Q. And with the recent announcement that we will be
13 adding a second circuit to phase 3, that simply requires
14 an amendment of our existing CEC, correct?

15 A. (MR. BRYNER) That's correct.

16 Q. It may not be simple. You've got to go to the
17 Commission to do it, but that's what it requires,
18 correct?

19 A. (MR. BRYNER) Correct.

20 Q. So if we're successful in obtaining the CEC for
21 this phase, phase 1, that essentially means we will have
22 the authorization to construct the entire project,
23 correct?

24 A. (MR. BRYNER) That's correct.

25 Q. Thank you.

1 CHMN STAFFORD: And quick follow-up, the
2 phase 3 that would amend which existing CEC, was it 74?

3 MR. BRYNER: It's case 144. I don't know
4 what the decision number was.

5 CHMN STAFFORD: Okay. Just the case number
6 is all I need. So CEC 144 is the line from Kantor to
7 Nogales, and it's a single-circuit line, you're just
8 going to amend that to make it a double circuit and that
9 will serve to make the final loop for the redundancy you
10 need?

11 MR. BRYNER: Correct, yeah. We built it as
12 a double-circuit capable, but only sought a CEC for a
13 single circuit.

14 CHMN STAFFORD: And when was that issued?

15 MR. BRYNER: 2009.

16 CHMN STAFFORD: You didn't get 20 years to
17 build the second circuit?

18 MR. BRYNER: Well, we only asked for a
19 single circuit.

20 CHMN STAFFORD: Okay.

21 MR. BRYNER: So that was our mistake, I
22 guess.

23 CHMN STAFFORD: Well, we did that recently
24 in another case where they got authorized, was it TEP or
25 was it APS, I forget which one, it was a utility, it

1 wasn't some --

2 MS. GRABEL: It was us. Marana.

3 CHMN STAFFORD: Okay. That seems -- that
4 seemed like a good way to go, you know you need the first
5 circuit in 10 years, maybe a second one in 20 years, you
6 don't have to keep coming back and getting them amended,
7 you have the flexibility to respond to the growth whether
8 it happens or not, so --

9 MR. BRYNER: Sure.

10 CHMN STAFFORD: Member Little, you had a
11 question?

12 MEMBER LITTLE: Live and learn.

13 I do have a question. I know that over the
14 years the BTA has -- the Biennial Transmission
15 Assessment -- has identified Santa Cruz County as having
16 reliability concerns. And they put into the BTA a
17 requirement that the reliability for the area be
18 monitored, and then -- and my question is this, it was
19 taken out, I believe, for a BTA or two, and then was put
20 back in.

21 Do you know the history of that
22 requirement?

23 MR. BRYNER: Give me one second.

24 MEMBER LITTLE: Okay.

25 CHMN STAFFORD: Is that with the 2021 our

1 amendment study requirements were triggered by?

2 MEMBER LITTLE: No, they're separate.

3 MR. BRYNER: Member Little, could we get
4 back to you on that?

5 MEMBER LITTLE: Absolutely. Thank you.

6 MR. BRYNER: Okay.

7 CHMN STAFFORD: Well, it's 2:39. We've
8 been going for approximately 90 minutes. I'm sure the
9 court reporter is ready for a break, so let's take an
10 approximately 15-minute recess.

11 MS. GRABEL: Thank you. There are snacks.

12 (Recessed from 2:39 p.m. until 2:56 p.m.)

13 CHMN STAFFORD: Let's go back on the
14 record. I believe Member Fontes was about to ask a
15 question when we took a break.

16 Member Fontes?

17 MEMBER FONTES: Thank you, Mr. Chairman.
18 Reliability projects have a lot of issues when you're
19 adding a second circuit. I'm hoping the testimony starts
20 with electrical system reliability perceived issues or
21 planned issues by engineering, specifically structural
22 and electrical. I know on the projects that I've worked
23 on in Arizona, NESC and IEEE standards come into play
24 there. From the financing side, I'm sure Member Little's
25 going to have a lot of questions, so special request if

1 it's not already planned that we start there, because
2 that could impact pole height also sag and crosswalk over
3 to environmental. So just wanted to note that for the
4 record, that Mr. Bryner, hopefully you've already
5 anticipated that, as you usually do. So thank you for
6 that input, Mr. Chairman.

7 CHMN STAFFORD: Thank you.

8 Mr. Bryner.

9 MR. BRYNER: Okay. And thank you, Member
10 Fontes, we will -- I hope I will proactively address
11 that, but if I don't address everything, then please ask
12 some probing questions.

13 Hold on. Let me just make sure that I
14 shared everything on slide 14 that I wanted to share.

15 Okay. So going on to slide 15. So
16 speaking of this, so in order to evaluate the need or the
17 different ways that we might provide an alternate source
18 of power to Santa Cruz County to eliminate that
19 dependence on a single radial transmission line, we
20 performed a number of analyses.

21 So we looked at all P-1 events. So P-1
22 events are where you have a single element on the system
23 failing. We looked at all P-2 events, so that's where
24 you have some shared component, like a breaker that
25 fails. We looked at P-7 events, which are where you

1 would have a failure on a common tower, so like a
2 double-circuit line, and then we looked at an extreme
3 outage situation. So that would be like where you lost
4 other circuits on the system. In this case, we looked at
5 the loss of a circuit from TEP's south line to TEP's
6 Santa Rita, sorry, South Substation, to TEP's Santa Rita
7 Substation, as well as the loss of UNSE's Vail to Sonoita
8 circuit. So the result of these studies found the system
9 to be at risk of failure, forcing an outage.

10 Now to Member -- Member Fontes's question,
11 if the system were included as part of the bulk electric
12 system today, that would have been considered a NERC
13 violation; however, since it's a radial -- a radial
14 system, it's not considered to be part of the BES, and it
15 meets an exception. So, not surprisingly, all of these
16 studies found that any solution that would bring a second
17 source of power to this system would mitigate that risk.

18 Now, introducing a second source of power
19 through a second transmission circuit, will improve
20 reliability of service to all of our customers in Santa
21 Cruz County by allowing them, as I mentioned before, to
22 have continuity of service, instead of requiring them to
23 wait for service to be restored with the loss of a single
24 transmission line.

25 So as you can see on the one-line drawing,

1 phase 1 of the Santa Cruz Reliability Project would
2 create a looped transmission service into Kantor. Let me
3 just highlight that. Oh, I appear to have lost my red
4 laser. Oh, there it is. Okay. So, yeah, so phase 1,
5 shown with the short red line, that would now create a
6 transmission loop from Vail to Kantor, Canoa Ranch to
7 Kantor, and you're not seeing the other lines, but up
8 through the regional grid.

9 And then with the final phase of the
10 project, phase 3, it will create the same loop down into
11 the Nogales area to the Kantor Substation. Introducing
12 continuity of service throughout the full Santa Cruz
13 River valley.

14 CHMN STAFFORD: Where is phase 2 on this
15 diagram?

16 MR. BRYNER: Yeah, Chairman Stafford phase
17 2 extends from Kantor north, it's not in red, it's in
18 black, because it's an existing facility that we would
19 rebuild. So, as I mentioned before, while the main
20 purpose of the new transmission line is reliability, it
21 will result in additional transmission capacity to the
22 area. With phase 1 the simultaneous import limit will
23 increase from 85 megawatts today to 195 megawatts, and
24 the maximum load-serving capability will increase from
25 165 megawatts to 226 megawatts. And once the full

1 project is complete, the maximum load-serving capability
2 will double.

3 BY MS. GRABEL:

4 Q. Mr. Bryner, you've used the terms "system import
5 limit" and "maximum load-serving capability," what do
6 those mean?

7 A. (MR. BRYNER) So the simultaneous import limit,
8 so what that is, that's really the amount of power we can
9 bring in through our lines. So that's 85 megawatts
10 today; 195 megawatts when phase 1 is completed.

11 CHMN STAFFORD: And that's in addition to
12 the local generation?

13 MR. BRYNER: That's the maximum
14 load-serving capability. So that's what we can bring in
15 on our lines, plus what we generate locally. And so,
16 yes, so that increases it substantially. So
17 165 megawatts is what we have today. 226 megawatts is
18 what we'll have in the future. And I actually have a
19 response to your question about the Valencia turbines.

20 CHMN STAFFORD: Oh, thank you.

21 MR. BRYNER: Would now be an appropriate
22 time to share?

23 CHMN STAFFORD: Certainly.

24 MR. BRYNER: So this was -- it was a great
25 question you asked, so basically the reason for having

1 four turbines there, even though we have gas limitations
2 is pointed out in what I'm sharing here, so 85 megawatts
3 is what we can bring in on our lines, but 165 megawatts
4 is what we're able to serve today with that generation.
5 So you add that up, that's 35 plus -- sorry 15 plus, so
6 that's 80 megawatts more, but we can only generate
7 30 megawatts, so how do we get that extra 50 megawatts?
8 It's because those turbines create bars on the system and
9 it's a voltage limited system. So creating those bars
10 actually allows us to boost -- boost our load-serving
11 capabilities in the system.

12 CHMN STAFFORD: Thank you.

13 MEMBER KRYDER: Mr. Chairman?

14 CHMN STAFFORD: One second, Member Fontes
15 has had his hand raised and then Member Kryder.

16 MEMBER KRYDER: Sure.

17 CHMN STAFFORD: Member Fontes?

18 MEMBER FONTES: Clark, I hope this is just
19 the overview here. What I'm specifically looking at is
20 Canoa Ranch to Kantor and then Kantor to Valencia, how
21 many poles do we have? What's the current rating of
22 those pole structures? And then when we add a second
23 circuit and you've already identified that additional
24 capacity, in terms of reliability, how is that going to
25 impact the current placement and the current transmission

1 there in the new build, so that we can have good
2 awareness before we start digging into environmental
3 issues and those sorts of things. I'm hoping that's on
4 the next slide, but I just wanted to point out
5 specifically to help you what I'm looking for is what's
6 the current state of play, and then how is that going to
7 shift as we get into the design and engineering for the
8 constructability of the new addition.

9 MR. BRYNER: Okay. Yeah, so Member Fontes,
10 let me try to answer your question. So for phase 1,
11 there is no existing line there today. So there's
12 nothing that we're upgrading, nothing that we're -- well,
13 it's not entirely true. There is -- there are portions
14 of the 46-kV line, that backup line that we're looking to
15 be able to use as part of this that were built to a
16 138-kV standard that can support the larger 954 ACSS
17 conductor that we used for our 138-kV system.

18 So for phase 1, most of the poles are new.
19 We do have preliminary engineering on those structures, I
20 don't have the quantity of those structures right now,
21 but they will be engineered to support 138. And, in
22 fact, our standard pole is to use a
23 double-circuit-capable structure, so you could say it
24 would be over-engineered for a single -- for a single
25 circuit but we'd like to have that -- the ability to add

1 a second circuit in the future, if need be, without
2 having to build another line.

3 For the phase 3 where -- I know it's not
4 really part of this case, but just to answer your
5 question -- those poles that exist were engineered to
6 support two 954 ACSS circuits and so it won't be a
7 problem with any respects to reliability, the previous
8 engineering in order to support that second conductor.

9 MEMBER FONTES: So you're not anticipating
10 any increased height or anything for sag?

11 MR. BRYNER: No. Again, they were
12 engineered to support a second circuit, so the first
13 circuit is on one side of the -- of the structure, the
14 second circuit will be on the other.

15 MEMBER FONTES: And TEP and UNSE are going
16 to own all structures, correct?

17 MR. BRYNER: UNSE will own all structures.

18 MEMBER FONTES: And TEP will do the O & M?

19 MR. BRYNER: So that would be something
20 that's done through sort of the company's affiliated code
21 of conduct, yes.

22 MEMBER FONTES: Okay. That -- that's very
23 helpful. Thank you.

24 CHMN STAFFORD: Member Kryder?

25 MEMBER KRYDER: I'll pass.

1 CHMN STAFFORD: All right. Thank you.

2 Mr. Bryner.

3 MR. BRYNER: So, lastly, let's cover that
4 Reliability Must Run requirement. So the ACC put in
5 place requirements of UNSE for the operation of
6 generation at Valencia under certain conditions. As I
7 mentioned before, UNSE exceeded those conditions in 2021
8 when the actual load that -- when our actual load
9 exceeded the forecasted load by greater than 2 1/2
10 percent. So that triggered a study that put in place a
11 requirement for us to run local generation at Valencia,
12 beginning in 2025, so this year, of at least 5 megawatts,
13 when our load exceeds 85 megawatts.

14 Now, one of the other benefits of phase 1
15 is that once it's in service, the studies show that this
16 requirement will be removed. So, again, that goes back
17 to that simultaneous import capability, what we can bring
18 in on the lines will now exceed what our actual load is
19 there without the need to run the generation.

20 CHMN STAFFORD: So most of the time you're
21 providing the power to Santa Cruz County from generators
22 outside of the county?

23 MR. BRYNER: Correct.

24 CHMN STAFFORD: And I'm assuming there's an
25 economic reason to do that, as opposed to just running

1 the local generation, 30 megawatts all the time?

2 MR. BRYNER: I would be assuming if I said
3 that. I don't know the answer.

4 CHMN STAFFORD: You could follow up later.
5 Please proceed.

6 MR. BRYNER: I can follow up, okay.

7 BY MS. GRABEL:

8 Q. Mr. Bryner, before you move on, when UNSE last
9 performed the RMR study, what were the results?

10 A. (MR. BRYNER) Yeah, so the latest RMR study was
11 done as part of the 13th biennial, BTA, and that found
12 that our forecasted load was 83.8 megawatts and our
13 actual load was 91 megawatts. So, again, we had a 2 1/2
14 percent margin of error that we could be within and we
15 exceeded that. So that triggered the need to run that
16 study, which the conclusion of that was that we needed to
17 run at least 5 megawatts of generation at Valencia. If
18 we went over 85 megawatts of load.

19 Q. And you indicated that if this phase 1 SCR North
20 is approved in construction it would eliminate that RMR
21 requirement, correct?

22 A. (MR. BRYNER) That's correct.

23 Q. Why is that true?

24 A. (MR. BRYNER) So, again, going back to that
25 simultaneous import limit, today we can bring in

1 85 megawatts of power on the lines. So that, again, is
2 the number where the RMR study is triggered. In the
3 future, after a phase 1 is constructed, we'll be able to
4 bring in 195 megawatts of power through that line, so it
5 satisfies the requirement.

6 Q. Thank you.

7 And can the information about the last BTA study
8 be found in Exhibit 10?

9 A. (MR. BRYNER) Yes.

10 Q. Thank you.

11 And Exhibit 10 is -- can you please describe
12 that document briefly for the record?

13 A. (MR. BRYNER) Sure, yeah. Exhibit 10 is just
14 a -- it's an excerpt of some of the slides that were
15 shared with the Arizona Corporation Commission as part of
16 the -- it's the 13th biennial transmission study, dated
17 2024.

18 Q. Thank you.

19 And that's found in Docket Number 23-0016?

20 A. (MR. BRYNER) Yes.

21 Q. All right. Thank you. Please continue.

22 CHMN STAFFORD: Member Fant, you had a
23 question?

24 MEMBER FANT: Thank you, Mr. Chair.

25 Mr. Bryner, if you eliminate the RMR

1 requirement of only 5 megawatts, that puts you in a
2 position to use cheaper power potentially, right, to
3 satisfy your load requirements?

4 MR. BRYNER: Again, I'm making an
5 assumption if I say one way or the other.

6 MEMBER FANT: I realize you're the
7 transmission manager, and I'm asking you a generation
8 question, so I apologize.

9 MR. BRYNER: We can look into it and see if
10 we can get you a response.

11 MEMBER FANT: Okay.

12 CHMN STAFFORD: Yeah, he'll follow up and
13 let us know.

14 Member Fontes?

15 MEMBER FONTES: I just want to make sure I
16 round out all my questions here while we're here,
17 Mr. Bryner, appreciate your indulging me.

18 Have you guys coordinated with WestConnect
19 and with the WECC on this? Just because now you're going
20 to be part of the larger grid rather than a radial line.
21 And is that in process and does that track with your
22 milestones to construction on this? Just for our
23 awareness, because it gets into systems reliability.

24 MR. BRYNER: I was just confirming. But
25 yeah, no, we participate in WestConnect. We participate

1 in all the WECC studies, and this project has been
2 included in those studies for the past couple of years,
3 and --

4 MEMBER FONTES: And did WECC give you
5 the -- the 3B constructability sign-off yet or is that in
6 your milestones? Just to make sure so we're in sync on
7 that.

8 MR. BRYNER: Can you explain that in a
9 different way?

10 MEMBER FONTES: WECC has a very similar
11 process to an interconnect in that on interregional
12 projects they will sign off on a similar path rating.
13 And one of them, and I believe it's 3B, is the
14 construction final sign-off. I just want to make sure
15 you're mapping with that because, again, you know we have
16 to opine on the systems reliability here and this one's
17 kind of unique. So where you're at in the WECC
18 permissions, I'll call it, in terms of that for our
19 awareness would be useful.

20 MR. BRYNER: Yeah. So, sorry, I'm
21 consulting with our transmission planner.

22 MEMBER FONTES: I see him.

23 MR. BRYNER: So, yeah, so it doesn't
24 require to go through that -- that process, so it will be
25 a wires-to-wires agreement with TEP is what will occur,

1 but there's no approval through WECC.

2 MEMBER FONTES: So it's an internal company
3 permission, if you will -- intracompany permission?

4 MR. BRYNER: I don't know.

5 CHMN STAFFORD: Is that a legal question,
6 then?

7 MS. GRABEL: It's maybe process, not
8 permission so much.

9 MEMBER FONTES: It's a process, yeah. And
10 I just want to make sure we're good here so we know
11 because systems reliability. And if it was a third party
12 doing this, you guys would require a third party to do a
13 wires to wires, so I want to get it on the record that
14 you -- you're in sync and it maps into your milestones of
15 construction, for the record.

16 MR. BRYNER: Sure. And that wires-to-wires
17 agreement, we would seek that, you know, intracompany, we
18 would seek that following the approval of the CEC, but
19 we --

20 MEMBER FONTES: Very good.

21 MR. BRYNER: -- don't have that today.

22 MEMBER FONTES: Yeah, but it will be
23 complete prior to construction or during preconstruction
24 activities?

25 MR. BRYNER: That's correct, yes.

1 MEMBER FONTES: Thank you. That's what I
2 wanted to capture.

3 MR. BRYNER: I think I'm done with that
4 portion.

5 BY MS. GRABEL:

6 Q. Excellent.

7 Any other questions for panel one, Mr. Bryner?

8 CHMN STAFFORD: Members?

9 (No response.)

10 MS. GRABEL: Okay. We're ready to swear in
11 panel two, which is Mr. Bryner again, and Mr. Ortiz y
12 Pino, who is right next to him.

13 CHMN STAFFORD: All right. Well,
14 Mr. Bryner has already been sworn. Mr. Ortiz y Pino
15 would you prefer an oath or affirmation?

16 MR. ORTIZ y PINO: An oath, please.

17 (Chris Ortiz y Pino was duly sworn by
18 the Chairman.)

19 CHMN STAFFORD: Please proceed.

20 MS. GRABEL: Thank you.

21 //

22 //

23 //

24 //

25 //

1 CHRIS ORTIZ Y PINO,
2 called as a witness on behalf of the Applicant, having
3 been previously affirmed or sworn by the Chairman to
4 speak the whole truth and nothing but the truth, was
5 examined and testified as follows:

6

7 D I R E C T E X A M I N A T I O N

8 BY MS. GRABEL:

9 Q. Mr. Ortiz y Pino, please state your name and
10 business address for the record.

11 A. (MR. ORTIZ y PINO) My name is Chris Ortiz y
12 Pino. And my business address is 88 East Broadway,
13 Tucson, Arizona.

14 Q. By whom are you employed and in what capacity?

15 A. (MR. ORTIZ y PINO) I'm employed by TEP and
16 UniSource Energy Services as a project manager in siting,
17 outreach and engagement.

18 Q. And what is your role in this matter?

19 A. (MR. ORTIZ y PINO) On this project I have
20 assisted in the siting and outreach.

21 Q. And if you turn to Exhibit UNS-4, which is the
22 testimony summary of Chris Ortiz y Pino.

23 A. (MR. ORTIZ y PINO) Yes.

24 Q. Was UNS-4 prepared by you or under your
25 direction and control?

1 A. (MR. ORTIZ y PINO) Yes.

2 Q. Are the contents of UNS-4 true and correct, to
3 the best of your knowledge?

4 A. (MR. ORTIZ y PINO) Yes.

5 Q. Do you have any changes you would like to make
6 to UNS-4?

7 A. (MR. ORTIZ y PINO) I do not.

8 Q. All right. Thank you.

9 Let's please proceed. You talk a little bit
10 about yourself and I think it almost rapidly turns back
11 over to Mr. Bryner.

12 A. (MR. ORTIZ y PINO) Great. So I am a siting and
13 outreach and engagement project manager with TEP, and
14 that means siting and transmission lines, thermal
15 generation facilities, and I assist with expertise in
16 environmental and land use planning. I have a bachelor
17 of arts and fine arts in Spanish literature from the
18 University of New Mexico. And I have a master of science
19 in planning from the University of Arizona. I am a
20 current member of the American Planning Association.

21 I have five years of experience with the utility
22 industry at Tucson Electric Power, with four of those
23 in -- as an environmental and land use planner, and more
24 recently as a project manager in siting. Previously, I
25 served as a planning consultant at the WLB Group, which

1 is a local planning and engineering firm. And prior to
2 that, I was a policy aide to former council member Steve
3 Kozachik within the City of Tucson.

4 A. (MR. BRYNER) Thank you, Mr. Ortiz y Pino. It
5 was nice to have a break.

6 Q. For a slide.

7 A. (MR. BRYNER) So over the course of almost two
8 years, UNSE went through a comprehensive siting outreach
9 and engagement process that resulted in the
10 identification of the two routes that are included in our
11 application for a Certificate of Environmental
12 Compatibility. I'm going to go over that process later,
13 but first I'd like to describe in detail each of the two
14 routes that UNSE has proposed.

15 To do that, I'll be using a map showing
16 different information on top of the base map that's shown
17 on slide 18. This map is basically the same as what you
18 have on your placemats, but I want to orient you to a few
19 things on the map. So, first of all, I-19 runs north or
20 south -- north to south through the middle of the map.
21 You also have the Santa Cruz River, which runs just to
22 the east of the interstate highway, and the Pima County
23 and Santa Cruz County line that runs east to west roughly
24 through the center of the map.

25 In the top center of the map, is the

1 unincorporated community of Green Valley. Down near the
2 county line, you have the unincorporated community of
3 Amado. And most of the area is under private ownership.
4 Those are indicated by the areas in more of the white
5 color. And then you have a lot of areas that are part of
6 Arizona State Trust Lands that are in this bluish color.
7 And in the bottom left-hand corner or east side of the
8 map, you have a dark green area that is under federal
9 jurisdiction as part of the Coronado National Forest.

10 And in the center of the map in this light green
11 color is the Canoa Ranch County Conservation Park. It's
12 a large tract of land, it's owned by Pima County. And
13 it's managed as the Raul M. Grivalja Canoa Ranch
14 Conservation Park. And the two project end points are
15 the Canoa Ranch Substation, that is a TEP facility, and
16 the Kantor Substation, that's a UNSE facility.

17 So the preferred route is illustrated with the
18 purple line, and then the alternative route is
19 illustrated with the green line. Also on the map in this
20 gray line with the gray circles on it is the existing
21 138-kV line that runs from Vail to Kantor. So the
22 preferred route, again, was illustrated in purple. It's
23 a little over nine miles in length and it's estimated to
24 cost about \$13.4 million to construct. So for that
25 route, we would be requesting a 500-foot-wide siting

1 corridor as part of the CEC, which would give us a little
2 bit of flexibility in our final engineering and to work
3 with any of the adjacent property owners to mitigate any
4 environmental or other concerns. The preferred route is
5 almost -- almost half of the preferred route is located
6 on State Trust Land with about a quarter on County land
7 and a quarter on private land.

8 The alternative route, again illustrated in the
9 green color, is almost 12 miles in length and is
10 estimated to cost about \$17 million to construct, again,
11 we would be seeking a 500-foot-wide siting corridor for
12 that route if it were selected. It's almost entirely on
13 State Trust Land, at about 80 percent of the land area,
14 and with County and private lands each consisting of
15 about 10 percent of the remaining land within that
16 requested corridor.

17 So let me go into the details of describing the
18 preferred route. In general, we buffered the proposed
19 routes by one mile. We described that as the project
20 study area. That's illustrated with a black line on
21 slide 19, and in kind of the highlighted area, with areas
22 outside of that project study area in more of the
23 shadowed or grayed-out color. So the project study area
24 is the area of analysis that we used for resources and
25 impacts that I'll discuss.

1 So, in addition to the features that were mapped
2 on slide 18 that I previously went over, slide 19 also
3 shows some additional information. It shows residential
4 land uses with areas marked in yellow. Those represent
5 low-density residential uses. And areas mapped in orange
6 represent medium-density residential land use. In
7 addition, there's some blue dots, those represent FCC,
8 federal communication -- I shouldn't have said that --
9 we're just going to stick with "FCC," licensed
10 communication sites, and various sensitive noise
11 receptors -- sorry -- and then we also have various
12 sensitive noise receptors that are illustrated using
13 various symbols that are referenced in the legend on
14 slide 19.

15 So beginning at the Canoa Ranch Substation, the
16 preferred route would tie into the southwest corner of
17 that existing facility. The existing substation has an
18 open position that's available in that location. Just to
19 the west of the substation, you'll see a red cross. That
20 is the location of the Santa Cruz Valley Regional
21 Hospital. It was permanently closed in 2022, and it's
22 currently sitting vacant.

23 And then just directly to the south of the
24 substation and, in fact, surrounding the substation on
25 all sides is the Canoa Ranch Conservation Park. So we'll

1 be talking more about that over the course of the next
2 few minutes. But, for right now, I want to share that
3 this area was placed into a conservation easement in 2016
4 by Pima County. And the conservation easement is held by
5 the Arizona Land and Water Trust as well as U.S. Fish and
6 Wildlife Service.

7 Now, the conservation easement actually
8 precludes development, including new utilities. I do
9 want to point out that this conservation easement was
10 established five years after TEP constructed the Canoa
11 Ranch Substation, but it resulted in the substation being
12 located on an island with the inability to make further
13 use of the facility for transmission or distribution
14 purposes, but over the course of the past 18 months, TEP
15 and UNSE have been working collaboratively with Pima
16 County on an agreement to remove a narrow sliver of the
17 northern portion of the conservation park from that
18 conservation easement to allow for us to use it for
19 future transmission and distribution needs. And we do
20 have a verbal agreement with County staff, and we're
21 working through final approvals.

22 So getting back to describing this route. So
23 just north of the substation and just beyond the edge of
24 the conservation park is a neighborhood called The
25 Springs. This is a residential retirement community, and

1 they participated very actively throughout the siting
2 process.

3 CHMN STAFFORD: So, Mr. Bryner, so to
4 develop the alternative or the preferred route, you need
5 to get that agreement with the conservation park,
6 correct?

7 MR. BRYNER: That is correct.

8 CHMN STAFFORD: If they don't agree, then
9 you are unable to build this line at all or do you have
10 to -- I see private land above that, would you -- is
11 there some kind of option to put it there?

12 MR. BRYNER: So great question. So we're
13 confident that we'll get the agreement. Again, we've
14 been working -- working collaboratively with the County
15 on this. We've come to terms in all -- in all respects.
16 It requires a large number of mitigation lands to be set
17 aside to advance the County's conservation goals. And
18 the reasons for which that land was set aside for
19 conservation. And so that's all been determined.
20 Everything's set aside. It just needs to go through the
21 approvals of the two organizations that I mentioned, as
22 well as the Pima County Board of Supervisors.

23 If we don't get that -- again, we're
24 confident that we will get it -- if we don't get that,
25 then we may be coming back to you to figure out something

1 else, we do -- as I go through the siting and the various
2 routes that we've looked at, there were other routes that
3 we had identified that would have avoided this challenge.
4 They were eliminated, for a number of reasons, public
5 community --

6 CHMN STAFFORD: Resistance?

7 MR. BRYNER: -- opposition. Thank you.

8 So community opposition, various -- and
9 cost factors, primarily. They were constructible, but we
10 eliminated them, because we felt confident in this route
11 and being able to work out that solution.

12 CHMN STAFFORD: Okay. Thank you.

13 MR. BRYNER: So I have a visual simulation
14 from Key Observation Point 1. This is within The Springs
15 community that I just mentioned just to the north of the
16 Canoa Ranch Substation. The simulation is looking to the
17 southeast. And this simulation is also on your placemat.

18 So looking at slide 21. So this is shown
19 on the right screen here in the presentation room, the
20 top photo illustrates the existing condition today along
21 Ground Squirrel Road within The Springs neighborhood.
22 The existing poles that you see in the center of the
23 photo, those are an existing 138-kV circuit, as well
24 as -- it's a double-circuit line, so it's got a 138-kV
25 circuit on it with a 46-kV circuit on the other side, as

1 well as an a distribution feeder in the under-built
2 position and then some communication wires on the lower
3 portion of the pole.

4 So there's a landscape storm water drainage
5 feature that separates the neighborhood from this
6 existing line. And in the distant background, the
7 mountains that you see, those are the Santa Rita
8 Mountains. You'll hear quite a bit about those. And the
9 third structure visible in this location, this more --
10 right there. That is actually the drop structure into
11 the Canoa Ranch Substation.

12 Now, turning our attention to the bottom
13 graphic on slide 21, that illustrates the simulated
14 condition from this same location. And that's whether we
15 built the preferred route or the alternative route. It's
16 a common corridor here. This and all the visual
17 simulations that I'm sharing with you today, they were
18 all intended to be viewed with a 120-degree field of
19 vision, and from a closer range than you're viewing them
20 today, and that's how we presented them to the public so
21 they could kind of be immersed in the image. But in this
22 simulated view, the new line would be constructed south
23 of the substation or to the far side of the image.

24 And while it would be slightly visible, it
25 would generally be screened by vegetation and other

1 features from this key observation point. So it would
2 result in a very low to no visual impact for residential
3 viewers around this area.

4 CHMN STAFFORD: Okay. Good. Because I'm
5 looking at the simulation, and it's like I can't find
6 Waldo in this picture.

7 MR. BRYNER: Because you don't have the
8 special cheat sheet that I have.

9 CHMN STAFFORD: Okay. Because I'm looking
10 at it and I can't see anything new between them. So it's
11 going the opposite direction, it's obscured by the -- by
12 the plant -- plant growth?

13 MR. BRYNER: That's correct. So I will
14 point out one structure for you, located right about
15 there, just to the left of the first structure in the
16 image. There's a structure in there and that's the
17 closest structure to us. And as you indicated, Chairman
18 Stafford, the new line would move further away from us,
19 further behind that other vegetation.

20 CHMN STAFFORD: Yeah, Waldo is well hidden.
21 I'm zooming in and I'm still not seeing it. Oh, there it
22 is, I see it. Let me go back and forth.

23 MR. BRYNER: We'll be sure to get you a
24 prize.

25 CHMN STAFFORD: No, I'm just happy that I

1 can -- I can still see.

2 MR. BRYNER: So I have another key
3 observation point also from within The Springs community.
4 This is from Key Observation Point 2. This is on a
5 walking path within the community open space within that
6 neighborhood. In this case the view is looking directly
7 south towards the Canoa Ranch Substation. So, again, now
8 looking on the screen on the right, slide 23, the top
9 photo illustrates the existing condition today from
10 within that community open space. The most prominent
11 existing pole that you see near the right side of the
12 photo is that drop-in structure that I pointed out on
13 KOP-1, dropping into the Canoa Ranch Substation. And the
14 wires that you see extending to the left and right, east
15 and west, are those same 138-kV and 46-kV circuits.
16 Again, you have the Santa Rita Mountains in the distant
17 background here, and views towards the Santa Rita
18 Mountains from this and other residential neighborhoods
19 were consistently raised as one of the top concerns that
20 we heard from the public.

21 Now, looking at the bottom graphic on slide
22 23, it illustrates that simulated condition from this
23 same location, again, whether it was the preferred or
24 alternative route that were constructed, and similar to
25 that last graphic that I shared, the new 138-kV line

1 would be constructed south or on the far side of the
2 existing substation from where we're viewing. And,
3 again, the new line, it is slightly visible, but it would
4 generally be screened by vegetation and other features
5 from this key observation point, again, resulting in very
6 low to no visual impact to residential viewers from this
7 area and it would preserve the views towards the Santa
8 Rita Mountains in their current state.

9 CHMN STAFFORD: All right. So where is the
10 hidden structure in this one?

11 MR. BRYNER: Okay. Getting out my cheat
12 sheet here. Oh, I also forgot to mention, just looking
13 at the existing condition, these smaller structures that
14 you see in the background, those are lightning masts for
15 lightning protection within the substation, so those
16 aren't actually support structures for the lines. So
17 those ones exist down here as well.

18 So down in here, remember how I said the
19 line would originate in the southwest corner, so that's
20 on the right-hand side of this, and this is where you
21 have your first structure. And then it wraps around over
22 here and you have your next structure just past this
23 tree. And you have another structure located just behind
24 this tree. Again, the vegetation really obscures things.
25 And then you start dropping further away. It's kind of

1 wrapping around the substation right there, so you have a
2 higher concentration of structures. And then it drops
3 off into the distance.

4 Before we leave the key observation points,
5 I have one more visual simulation that represents a view
6 from a residential area. This view is from Key
7 Observation Point 3. It's actually located to the west
8 side of I-19 or a little bit further away, but it's from
9 a more prominent or elevated vantage point. So the top
10 photo, on slide 25, again, illustrates the existing
11 condition today. This is from a neighborhood that's
12 called the San Ignacio Vistas neighborhood, and from a
13 cul-de-sac on Gloria View Court.

14 So here in the immediate foreground you see
15 the frontage road and Interstate 19. Just beyond that,
16 this open space area, this is part of the Canoa Ranch
17 Conservation Park and then, of course, you've got the
18 Santa Rita Mountains in the background. What you may or
19 may not see in this picture is there's an existing 46-kV
20 line that cuts through the Canoa Ranch Conservation Park
21 and there is the existing 138-kV line that goes from Vail
22 to Kantor, located about three miles from this location.

23 So to the far left side of the photo, and
24 sorry, I'm looking down at the -- right -- right over
25 here is actually the Canoa Ranch Substation. And so

1 neighborhoods in this area, they were extremely vocal
2 about their concerns with protecting their views towards
3 the Santa Rita Mountains.

4 So let's turn our attention now to the
5 bottom graphic on slide 25, which illustrates the
6 simulated condition. Now, this is just for the preferred
7 route, this does not apply to the alternative route. So
8 beginning on the left-hand side of the screen, you can
9 see actually coming out of the Canoa Ranch Substation,
10 you can see some of those new structures. And then
11 cutting across the screen from north to south or left to
12 right on the screen would be our proposed new 138-kV
13 line, if the preferred route were constructed. Again,
14 this would result in low to no visual impact to
15 residential viewers from this key observation point, and
16 it would preserve those views that were so valued by the
17 public.

18 So continuing our description as we go an
19 along the preferred route, so just beyond the Canoa Ranch
20 Substation, but shown on the map there's actually a green
21 dashed line, that's a portion of the Juan Batista de Anza
22 National Historic Trail. It's a developed dirt pathway.
23 It's managed by the National Park Service. And our
24 existing transmission line that serves the Canoa Ranch
25 Substation crosses that path in the same -- the same

1 corridor where we would propose to -- to cross.

2 And then the trail -- I guess the trail,
3 more or less, just parallels the Santa Cruz River here.
4 We would then, with our -- our transmission line, we
5 would -- we would cross over the Santa Cruz River. And
6 also, just to mention, this is all located within the
7 Canoa Ranch Conservation Park. And I want to show a
8 visual simulation from within the Canoa Ranch
9 Conservation Park.

10 So this is Key Observation Point 4, and
11 it's located along that Anza National Historic Trail,
12 also at the historic headquarters of the Canoa Ranch. So
13 it represents a view for both users of the historic trail
14 and visitors to the conservation park and the historic
15 ranch headquarters buildings. So this view is generally
16 looking to the east. So looking at slide 27 now, this
17 illustrates the existing condition today from the
18 historic Canoa Ranch and the Anza National Historic
19 Trail.

20 So here in the middle ground, you can
21 actually see -- I told you about that 46-kV line on the
22 previous simulation, you can actually see some of those
23 structures located in the photo. And then, of course,
24 you see in the background the Santa Rita Mountains. So
25 the bottom graphic on slide 27 illustrates that simulated

1 condition from this same location if the preferred route
2 were constructed. The preferred route in this case would
3 be located a little over a mile away and the proposed
4 line, it is visible again from this location, but the
5 terrain, vegetation, and distance make it really
6 difficult to see. As a result, the preferred route would
7 have low to no visual impact to recreational users of the
8 trail or to visitors of the historic Canoa Ranch.

9 So, again, returning to the description of
10 the proposed route from the point it crosses the Anza
11 National Historic Trail -- the Anza National Historic
12 Trail and the Santa Cruz River. Just mentioning the
13 river in this area, so this is a stretch of the Santa
14 Cruz River where there is no above-ground perennial flow
15 of water, and it's limited to a single channel here. It
16 does not have any dense riparian vegetation present.
17 And, as I mentioned before, there's already an existing
18 138-kV line that crosses the river in this location. We
19 would need to secure a floodplain use permit through Pima
20 County for this crossing.

21 Now, just east of the Santa Cruz River,
22 again, we would cross over the northern edge of the Canoa
23 Ranch Conservation Park and cross over the Union Pacific
24 Railroad tracks. The nearest homes in this location
25 would be about a third mile north in a low-density rural

1 subdivision along Camino de la Canoa. And then the
2 preferred route would cut to the south, again, skirting
3 along the edge of the Canoa Ranch Conservation Park for
4 approximately two miles. This would go through open
5 desert on both the east and west sides, with the west
6 side being the Canoa Ranch Conservation Park, and the
7 east side being primarily vacant State Trust Lands.

8 The route then comes along the western edge
9 of another rural development, which is known as the
10 Elephant Head community, and that's because it sits at
11 the base of a rock formation in the Santa Rita Mountains
12 that's named Elephant Head. The preferred route then
13 continues south along Canoa Road for approximately two
14 more miles, and then near the intersection of Elephant
15 Head Road, which is right here, and Canoa Road. Elephant
16 Head Road extends east/west, Canoa Road extends
17 north/south. Near that intersection, the route, again,
18 crosses into vacant desert lands on Arizona State Trust
19 Land.

20 Another key observation point, this one Key
21 Observation Point Number 7 is located along Elephant Head
22 Road at a trailhead for the Anza National Historic Trail,
23 located about one mile from the preferred route. So this
24 represents a view for both users of the historic trail,
25 as well as residents of Elephant Head as they drive along

1 Elephant Head Road into their community. So this view is
2 generally looking to the southeast.

3 So in the top photo it illustrates the
4 condition today from the trailhead. Along the right-hand
5 side of the photo is Elephant Head Road. Running
6 parallel to Elephant Head Road -- running parallel to
7 Elephant Head Road, the line that you see, this is the
8 46-kV backup line that goes to Kantor today.

9 MEMBER LITTLE: Mr. Chairman?

10 CHMN STAFFORD: Yes, Member Little.

11 MEMBER LITTLE: Will that section of that
12 line be taken out?

13 MR. BRYNER: So that section of the line
14 was not built to a 138-kV standard. We looked into -- as
15 part of our siting, that was one of the routes that we
16 considered. It's ultimately not in our application. But
17 yes, when the 138-kV -- when our second 138-kV line is
18 constructed, that 46-kV line will have no purpose, and so
19 we have would plan to -- to -- it does have distribution
20 on it, but the 46-kV portion of it, would be no longer
21 needed.

22 MEMBER LITTLE: I have another question,
23 Mr. Chairman, if I may.

24 As I was looking through these KOPs in the
25 application, I was wondering why there was not a KOP

1 taken from that little community that's up north that you
2 pointed out that's a third of the mile from the line,
3 looking toward the line, and also why there were no KOPs
4 taken from the Elephant Head community, looking west
5 toward the line.

6 MR. BRYNER: Sure. So when you're talking
7 about the community just to make sure I'm
8 understanding --

9 MEMBER LITTLE: That one, yes.

10 MR. BRYNER: -- this community along Camino
11 de la Canoa?

12 MEMBER LITTLE: Yes.

13 MR. BRYNER: Yes. So, again, so all of the
14 comments we received from the community were about views
15 towards the Santa Rita Mountains. And so we oriented our
16 key observation points to represent residential views
17 towards the Santa Rita Mountains or from areas that might
18 have been important for other reasons, like the Anza
19 National Historic Trail and the Canoa Ranch.

20 So the view from that community towards the
21 Santa Rita Mountains was not impeded by the transmission
22 line. And along the Elephant Head community, we didn't
23 have a key observation point either in there, even though
24 it's located close to those residential areas, their
25 views were unimpeded by the transmission line here and

1 the views to the west, well, they're generally of
2 tailings from -- from mines that are in operation on the
3 west side of I-19.

4 MEMBER LITTLE: Oh. In the conservation
5 park?

6 MR. BRYNER: Not in the conservation park,
7 but on the opposite side --

8 MEMBER LITTLE: Oh, over there?

9 MR. BRYNER: -- over in here.

10 MEMBER LITTLE: Oh, I see.

11 MR. BRYNER: See you've got large --

12 MEMBER LITTLE: I see. Okay. Thank you.
13 I was just curious.

14 CHMN STAFFORD: Member Comstock?

15 MEMBER COMSTOCK: Thank you, Mr. Chairman.

16 Mr. Bryner, the location where you just had
17 your laser pointer where there's a FCC licensed
18 communication facility, are there towers there and how
19 high are they if there's -- is there a phone tower there?
20 What's in that facility.

21 MR. BRYNER: Member Comstock, I know I've
22 got a number of the FCC licensed it -- was it right in
23 here?

24 MEMBER COMSTOCK: Yes, sir, the one you
25 just had there.

1 MR. BRYNER: The one in the Elephant Head
2 community?

3 MEMBER COMSTOCK: Yeah.

4 MR. BRYNER: So those are -- so we did have
5 some members of the public come and chat with us. Those
6 were ham radio operators who have licensed antennas. So
7 those are not commercial facilities within that
8 community.

9 MEMBER COMSTOCK: So, if I may, and I
10 apologize for the length of this question, on your
11 preferred route on the -- I guess it would be the eastern
12 side of the conservation park, how close to Canoa Road or
13 which side of Canoa Road is the preferred route running?
14 Is it on the east side, the west side?

15 MR. BRYNER: So just to confirm, we're
16 talking Canoa Road right here?

17 MEMBER COMSTOCK: Yes, sir.

18 MR. BRYNER: Okay. So the corridor we're
19 requesting is 500 feet wide. So it would allow it to go
20 on either side. We have a virtual tour that I'll show in
21 just a minute, and we've done the preliminary engineering
22 of that line on the west side, so furthest from the
23 residential areas, but it would allow us to go on either
24 side if we run into issues or concerns.

25 MEMBER COMSTOCK: And it stays out of the

1 conservation park or it would be -- it could be
2 constructed inside the boundaries of the conservation?

3 MR. BRYNER: So, in concept, it would be
4 located outside the conservation park. The agreement
5 we've been working with the County on to remove lands
6 from that restrictive conservation easement is limited to
7 the northern edge, the extreme northern edge, not along
8 this eastern side. And so we would either need to remove
9 additional lands to go in the conservation park or
10 preferably be located outside of the conservation park.

11 MEMBER COMSTOCK: And are there any Palo
12 Verde trees in the conservation park that you would have
13 to remove?

14 MR. BRYNER: So I'm going to say yes. I
15 can't definitively state that, but there are Palo Verde
16 trees, mesquite trees, there's native Sonoran Desert
17 vegetation throughout.

18 MEMBER COMSTOCK: Thank you.

19 CHMN STAFFORD: Quick follow-up question,
20 Mr. Bryner. Where the -- where the Canoa Road we were
21 just talking, you said you're going to have an easement
22 corridor big enough to put it on either side of the road,
23 either the east or west, that was the ask?

24 MR. BRYNER: That's correct, yes.

25 CHMN STAFFORD: If it goes on the west

1 side, is there enough space to do that without impinging
2 on the conservation park?

3 MR. BRYNER: So, yes, in theory there is.
4 We have not done survey to determine the property
5 boundaries exactly of that. If we take the tour out
6 there, you'll see where the fence line is at, and where
7 it's marked as the edge of the conservation boundary. If
8 that, indeed, is where the edge is at, then we feel like
9 we can fit it there. If maybe that fence line is not set
10 in the exact location of that property boundary, it may
11 not fit.

12 MEMBER COMSTOCK: Mr Chairman, one
13 follow-up?

14 CHMN STAFFORD: Yes, Member Comstock.

15 MEMBER COMSTOCK: What's the final
16 right-of-way that you anticipate for the line?

17 MR. BRYNER: So our typical right-of-way
18 that we seek for a 138-kV line is 100 feet wide. But
19 that's if we're going across open desert. If we're
20 going -- if we're utilizing road rights-of-way, then we
21 might try to fit it within something more narrow or
22 there's cases when we might seek something wider, but
23 typically 100 feet.

24 MEMBER COMSTOCK: And one other, has Pima
25 County expressed any concern about working inside the

1 conservation park area?

2 MR. BRYNER: Not specifically. So,
3 obviously, they're managing it for conservation purposes.
4 There are a lot of historic sites, cultural resource
5 sites within that area. And that's primarily been the
6 concern.

7 MEMBER COMSTOCK: So I -- if I may, I like
8 your use of word "specifically," that means there's so
9 still some questions about where poles might be located
10 and how that construction might be completed?

11 MR. BRYNER: 100 percent. So the way
12 that -- I'm sure different utilities, other developers
13 you hear from might approach this differently, but we'll
14 do preliminary engineering on our lines before we come
15 before the committee, but we don't do final engineering.
16 We like to have some flexibility so that after we've done
17 this, we'll go out and we'll complete full surveys for
18 cultural resources, for any biological resources, other
19 things, identify exactly where those things are at and
20 then we'll pinpoint our structures hopefully to avoid any
21 of those impacts.

22 MEMBER COMSTOCK: Thank you.

23 MR. BRYNER: I think I skipped back a
24 little bit here. You -- I believe we described the
25 simulated condition already here. So, again, so the

1 simulated or the preferred route in this location would
2 be located a little over a mile away from this location.
3 So, and again, while technically you might be able to see
4 the line a little bit from this location, again, the
5 terrain, the vegetation, and the distance make it very
6 difficult to see where the preferred route would be
7 located from this location. And so it would result in a
8 low to very low visual impact to recreational users of
9 the Anza National Historic Trail, as well as travelers
10 along Elephant Head Road.

11 So, now, Mr. Ortiz y Pino is going to jump
12 in and discuss some of the planned land uses with respect
13 to the referred route.

14 MR. ORTIZ y PINO: Thank you, Mr. Bryner.
15 Okay. Thank you for allowing me to give you another
16 break in your presentation.

17 The Pima County -- Pima County
18 Comprehensive Plan is known as "Pima Prospers," it's a
19 long-range policy document that guides land use, growth,
20 and development throughout unincorporated Pima County.
21 Pima Prospers recognizes the growing energy needs of the
22 community and outlines goals that allow for utilities in
23 all zoning districts and does not include guidelines for
24 the construction of transmission lines.

25 The land use designations found within the

1 project study area range from the predominant low
2 intensity rural to low and medium intensity urban. There
3 are several distinct land uses in the northeast portion
4 of the project study area; however, the preferred route
5 diverges for most of these in the southwest, crossing
6 only the resource conservation use for about a mile, and
7 the low-intensity rural use for the remainder through
8 Pima County. This resource conservation land use ends,
9 of course, at the Canoa Ranch Conservation Park, which
10 Mr. Bryner just spoke about. The project will comply
11 with all goals and policies of Pima Prospers.

12 As the preferred route enters Santa Cruz
13 County -- I'll touch on the Santa Cruz County
14 Comprehensive Plan, which was last updated in 2016. This
15 plan designates character areas within the county, which
16 outline goals to protect the environment, open space, and
17 guide land use in unincorporated Santa Cruz County. The
18 project study area is located within the northwest Santa
19 Cruz County character area. By siting the preferred
20 route within the existing utility corridor through Santa
21 Cruz County, UNSE has ensured compliance with the goals
22 of the character area and the overarching goals of the
23 comprehensive plan.

24 In this slide, as we discuss the zoning
25 designations within the project study area, it's plain to

1 see that the prevalent zone in the tan color is rural
2 homestead. The preferred route traverses the RH zone
3 exclusively all the way to the county line. As the
4 preferred route enters Santa Cruz County, we see
5 something a little peculiar, which is that there is no
6 zoning designations within the county. This is because
7 these are Arizona State Trust Lands and Santa Cruz County
8 does not apply zoning districts to Trust Lands.

9 The zoning codes for both Pima County and
10 Santa Cruz County states that the location of poles and
11 wires that are necessary to distribute public facilities
12 shall not be prevented, thus the project is compliant
13 with the zoning codes of both counties.

14 The Sonoran Desert Conservation Plan is an
15 integrated sub-plan of Pima Prospers. The Sonoran Desert
16 Conservation Plan seeks to protect the County's
17 biological, historical, and cultural resources from
18 sprawling development patterns. It achieves this, in
19 part, through the conservation land systems, which
20 identifies lands necessary to achieve the biological goal
21 of the plan, while delineating areas suitable for
22 development. Each category that you see on this slide
23 has an associated conservation policy, which encourages
24 the conservation of its resources.

25 Although the preferred route crosses nearly

1 all of these CLS categories, project does not trigger the
2 applicability of the conservation land systems policies,
3 because they only apply to private developments that need
4 a rezoning or other discretionary changes in land use.
5 So, thus, the preferred route does not conflict with the
6 Sonoran Desert Conservation Plan.

7 MR. BRYNER: Thank you. You could have
8 been a little more verbose.

9 So looking at biological resources, as
10 described, the preferred route passes through a large,
11 undeveloped area. The majority of the preferred route
12 passes through desert scrub, which primarily includes
13 different types of grasses, various species of cacti,
14 with scattered mesquite and Palo Verde trees to Member
15 Comstock's point.

16 The area is habitat to various wildlife
17 species common to the Sonoran Desert, several of which
18 were observed by our biologists in the field, such as
19 javelina, coyote, desert cottontails, javelina, quail,
20 and red-tailed hawk. While there's no designated
21 critical habitat within the vicinity of the preferred
22 route, there are several special status species that have
23 the potential to occur in the vicinity of the preferred
24 route. Those include two species of bird, the
25 yellow-billed cuckoo and the cactus ferruginous pygmy

1 owl, which are both listed as threatened under the
2 Federal Endangered Species Act and the Pima Pineapple
3 Cactus, which is listed as endangered.

4 The yellow-billed cuckoo prefers areas with
5 lush -- with lush thick vegetation for foraging and for
6 shelter. The preferred route is not located within this
7 type of habitat, even where -- where it crosses the Santa
8 Cruz River, however, the species is known to occur south
9 of the project area, and it could -- it could be using
10 this area for dispersal.

11 So to reduce the potential for any
12 project-related impacts to the cuckoos, UNSE would avoid
13 construction activities within a half a mile of suitable
14 nesting habitat during the nesting season. And we would
15 minimize the permanent removal of any riparian
16 vegetation. The cactus ferruginous pygmy owl requires
17 dense zero riparian woodland or desert scrub habitats
18 with mature trees, saguaros, or mesquite bosques for
19 nesting. This type of vegetation is largely not present
20 along the preferred route. But the presence or absence
21 of the owl can't be confirmed without further study.

22 So in order to minimize any potential
23 impacts if the preferred route were approved, UNSE would
24 conduct informal consultation with the U.S. Fish and
25 Wildlife Service, we would conduct preconstruction

1 surveys to determine the presence or absence of the owls.
2 We would avoid construction during the nesting season
3 where feasible, and we would keep vegetation clearing to
4 a minimum for construction. Much of the natural desert
5 area that's crossed by the preferred route is suitable as
6 habitat for the Pima Pineapple Cactus, so to minimize any
7 impact to this species, if the preferred route were
8 approved, UNSE would conduct preconstruction surveys to
9 determine the presence or absence of the cactus so that
10 we could avoid any impact to them.

11 Now, looking at the higher -- higher
12 landscape level ecosystem, the preferred route is located
13 within two important wildlife corridors. Those are shown
14 in the green hatching on the map on slide 34, and those
15 connect three important habitat blocks which are shown in
16 the blue hatching. So those habitat blocks are really
17 just mountain ranges. So the habitat block in the
18 southern portion near Tubac, that's the Tumacacori
19 Mountains. Over here on the east end or right side of
20 the map, that's the Santa Rita Mountains. Up in the
21 northern part of the map are the Sierrita Mountains.

22 There's also two important bird areas in
23 the vicinity, but they don't overlap the preferred route.
24 Those are shown in orange on the map. One's located
25 along the Santa Cruz River, near Tubac, and the other is

1 in the Santa Rita Mountains east of the project area. So
2 the preferred route would not impact wildlife movement or
3 either of the important bird areas.

4 And there, of course, are a number of
5 streams and washes within the vicinity of the preferred
6 route, all of these are ephemeral, meaning they only flow
7 after major storm events, including the Santa Cruz River.
8 The preferred route would cross all of these washes
9 perpendicularly. And prior to beginning construction,
10 UNSE would confirm if any of these washes were considered
11 to be jurisdictional as Waters of the United States and
12 subject to Clean Water Act permitting. But regardless of
13 the jurisdictional status of the washes, UNSE would
14 employ best management practices, like silt fencing and
15 straw wattles so we can eliminate any erosion and
16 sedimentation into those waterways. So as a result, the
17 preferred route would not impact riparian habitats.

18 So, as I discussed, there is the potential
19 for three federally protected species to be found in the
20 vicinity of the preferred route. So that was the cactus
21 ferruginous pygmy owl, the yellow-billed cuckoo, and the
22 Pima Pineapple Cactus. In addition, there are a couple
23 of state-listed species and birds protected under the
24 Migratory Bird Treaty Act and the Bald and Golden Eagle
25 Protection Act that would have the potential to occur

1 near the preferred route.

2 So in order to minimize any negative
3 effects to any of these species, we proposed a robust set
4 of environmental protection measures that can be found on
5 pages 122 through 125 and page 205 of the CEC
6 application, which is our UNS-1 exhibit. So amongst
7 those self-imposed conditions, our coordination with the
8 U.S. Fish and Wildlife Service and the Arizona Game &
9 Fish Departments on any species-specific mitigation
10 measures that might be appropriate, and we have
11 incorporated those citations into our proposed form of
12 CEC.

13 BY MS. GRABEL:

14 Q. You're looking at me. Do you want me to ask you
15 about the Arizona Game & Fish Department?

16 A. (MR. BRYNER) Of course I do.

17 Q. Okay. Thank you.

18 Mr. Bryner, did UNSE send a consultation letter
19 to the Arizona Game & Fish Department?

20 A. (MR. BRYNER) Yes, we did.

21 Q. Is a copy of that document marked as Exhibit
22 UNS-27?

23 CHMN STAFFORD: You said 2, right?

24 MS. GRABEL: 2-7, yes.

25 MR. BRYNER: Yes.

1 BY MS. GRABEL:

2 Q. And did UNSE receive a response from the Arizona
3 Game & Fish Department?

4 A. (MR. BRYNER) Yes, we did on the -- last week on
5 the 30th?

6 Q. And is a copy of that document marked as Exhibit
7 UNS-28?

8 A. (MR. BRYNER) Yes, it is.

9 Q. Will you summarize the response from the Arizona
10 Game & Fish?

11 A. (MR. BRYNER) Sure. I'd be happy to.

12 So, in summary, they provided an appreciation
13 for the robust environmental protection measures that
14 we -- we proposed as a company. They did correct our
15 preconstruction nesting surveys, and they recommended for
16 this specific area that we actually conduct those from
17 February 15th through September 30th, as opposed to what
18 we had proposed from March 1st through August 31st. So
19 that's a condition that we would be happy to do.

20 And they did recommend that we install bird
21 diverters in areas where bird strikes could occur, so
22 they mentioned the Santa Cruz River and riparian areas.
23 So that is a condition that we would -- we would like to
24 consult further with the Game & Fish department on.
25 Again, as I mentioned, where we cross the Santa Cruz

1 River, we have an existing transmission line there. It
2 has no bird diverters today. We have no bird diverters
3 on any of our transmission lines throughout the TEP or
4 UNS systems today, and so we'd just like to confirm that
5 it's truly merited in this location.

6 Q. So, Mr. Bryner, but for the latter
7 recommendation about bird diverters, would UNSE agree to
8 amend this proposed form of CEC that we have offered for
9 this proceeding, to include the first recommendation from
10 the Arizona Game & Fish Department date?

11 A. (MR. BRYNER) Yes.

12 Q. Thank you.

13 A. (MR. BRYNER) So there are a number of recreation
14 opportunities that are in the vicinity of the preferred
15 route. So we've talked quite a bit about the Canoa Ranch
16 Conservation Park, which is shown in the green in the
17 center of the screen on slide 37. In addition, the
18 preferred route crosses the Juan Batista de Anza National
19 Historic Trail, which is -- I've mentioned that before
20 but it's shown in the green dashed line. And any impact
21 to recreation resources as a result of the preferred
22 route would be temporary and limited to short periods
23 during construction.

24 Also, we recognize that access roads that are
25 associated with transmission lines, they can become a

1 recreation opportunity in and of themselves, but UNSE
2 doesn't propose to make the transmission route available
3 for any formal recreation purposes. And the preferred
4 route is not located within the vicinity of any
5 specifically designated scenic areas, however, several of
6 the recreation opportunities within the facility,
7 including the Canoa Ranch Conservation Park and the Anza
8 National Historic Trail, do offer open views of nature,
9 as well as the Santa Rita Mountains.

10 And, as I mentioned earlier, one of the most
11 important values that we heard from the local community
12 was preserving those views towards the Santa Rita
13 Mountains. The five key observation points that we went
14 over represent views from those recreation areas, as well
15 as those residential areas that had the highest potential
16 to have views of the Santa Rita Mountains impacted by the
17 preferred route. We've already gone over those
18 photographic simulations, so I won't do that again.

19 But visual impacts from the KOPs were measured
20 in terms of their contrast rating and their resulting
21 visual impacts. The contrast rating has to do with how
22 the project interacts with the current landscape and it
23 ranges from no impact to weak, moderate, and strong.
24 Impacts were then rated considering the type of viewer
25 and changes to the visual resources as a result of the

1 project. The contrast rating for all of the KOPs
2 associated with the preferred route was weak, because
3 there were existing forms, colors, and textures in the
4 landscape that were similar to the proposed project
5 already present in the landscape. This weak contrast
6 resulted in a low visual impact from all of the KOPs.

7 So, as I mentioned before, the project study
8 area is very rich culturally, both historically and
9 prehistorically, largely because it's located in
10 proximity to the Santa Cruz River, which is a source of
11 water in an otherwise arid region. I shared a bit about
12 the Canoa Ranch Conservation Park, and I also mentioned
13 that in addition to being set aside for conservation
14 purposes, the area is also listed on the National
15 Register of Historic Places as an historic district of
16 landscape.

17 So the boundaries of that are depicted in the
18 cross-hatched area on slide 38 and they really coincide
19 with the boundaries of the conservation park themselves.
20 Our study area kind of cuts it off right there so it's
21 not showing it in its entirety. So that area within the
22 historic district includes a concentration of historic
23 buildings from the 19th and 20th centuries that served as
24 the headquarters of the historic Canoa Ranch, and the
25 history of the area goes much further back than that, and

1 there are many known prehistoric sites in the vicinity.

2 There's been many cultural resource studies that
3 have been conducted in this project area, and that's what
4 contributes to our understanding of what's going on
5 there, those areas are illustrated on the map on slide 38
6 in orange and blue. The orange represents areas where
7 cultural studies were completed more than 10 years ago.
8 And the blue areas represent cultural studies that were
9 completed within the last 10 years. So within the
10 500-foot-wide siting corridor that we're requesting for
11 the preferred route, 55 percent of that corridor has been
12 previously surveyed for cultural resources.

13 Those previous surveys identify 21 known
14 cultural resource sites. Of those sites one was listed
15 on the National Register of Historic -- one was listed on
16 the National Register of Historic Places, which is the
17 Canoa Ranch Historic District and landscape, and 19 were
18 eligible for listing on the National Register. One of
19 the site's eligibilities was unknown, so we treated that
20 as being eligible for purposes of our analysis.

21 So, as I mentioned before, as a matter of
22 practice, UNSE always tries to avoid impacts to cultural
23 resources. One of the reasons that we request the
24 500-foot-wide siting corridor is so that we can have some
25 flexibility to avoid those sites. So prior to completing

1 final engineering, we would complete a Class III survey,
2 which is an intensive pedestrian survey of that
3 transmission line right-of-way for cultural resources.
4 And based on the results of that survey, we would adjust
5 those co-locations accordingly.

6 So UNSE has been coordinating with the State
7 Historic Preservation Office, or SHPO, throughout our
8 siting process. Most recently UNSE requested that SHPO
9 review a class I report that we completed for our larger
10 project siting area. And we asked them to provide
11 comment on the two proposed routes. SHPO did provide a
12 response to that review in the form of a letter. As a
13 result of that letter, UNSE met with SHPO for further
14 discussion.

15 Now, based on both that letter, as well as our
16 follow-on discussions -- discussions, SHPO expressed a
17 preference for the alternative route over the preferred
18 route because the preferred route is in closer proximity
19 to the historic Canoa Ranch and known cultural sites.
20 Now, they did express that they understood why UNSE had
21 identified the preferred route in our effort to balance
22 various factors, but they stated that from a pure
23 cultural resource standpoint, they felt the alternative
24 route was a better choice.

25 So, of course, we'll need further consultation.

1 They did state that the preferred route would likely
2 result in an adverse effect on the historic landscape as
3 a result of a visual impact. And as a result of that, it
4 would likely require some mitigation. So, again, that's
5 where the further consultation would come into mind as to
6 what would that further mitigation be.

7 So SHPO did -- did support our recommendation to
8 conduct a Class III survey of the route and as well as
9 the need to continue to consult with tribal communities.

10 MEMBER LITTLE: Mr. Chairman?

11 CHMN STAFFORD: Yes, Member Little.

12 MEMBER LITTLE: Does SHPO require that
13 Class III study or is it -- they -- I saw that it was
14 recommended and you just stated that also, but is it
15 required?

16 MR. BRYNER: So I know from past CECs, that
17 has become a requirement of our -- or a condition of our
18 CEC. Now on State Lands, that would be a requirement on
19 State Lands for us to obtain a lease from State Land.
20 For private lands, that's a more a condition of the CEC
21 where that requirements comes in.

22 MEMBER LITTLE: Thank you.

23 BY MS. GRABEL:

24 Q. Mr. Bryner, before you moved on, you mentioned
25 three different documents in your discussion of the SHPO,

1 and I'd just like to put the evidence into the record.

2 So, first, you mentioned that UNSE sent a letter
3 to SHPO with a copy of the Class I cultural study.

4 Do you recall that?

5 A. (MR. BRYNER) Yes.

6 Q. Is that letter marked as UNS-14?

7 A. (MR. BRYNER) Yes.

8 Q. And you also noted that UNSE received a response
9 from SHPO to that letter contained in UNS-14; is that
10 response marked as UNS-25?

11 A. (MR. BRYNER) Yes.

12 Q. And I believe you also noted that UNSE gave SHPO
13 additional information after receiving the letter
14 contained in UNS-25; is that correct?

15 A. (MR. BRYNER) Yes, that's -- that's correct.

16 Q. And is that updated response marked as UNS-26?

17 A. (MR. BRYNER) Yes, it is.

18 Q. Thank you. Please continue.

19 A. (MR. BRYNER) So the last thing that I wanted to
20 mention on the cultural resources was some more
21 engagement with the tribal communities. So there's
22 11 tribal communities that have expressed an ancestral
23 affiliation to this area. So we reached out to those
24 communities through letters, emails, and phone calls on
25 multiple occasions over the past couple of years as part

1 of our siting and outreach effort. And we also requested
2 informal consultation with those tribal communities. In
3 July 2025, we shared the results of our Class I research
4 with the tribes, and we requested their review and
5 feedback.

6 Now, going back even further, the White Mountain
7 Apache Tribe responded to us in March 2025 that the
8 project would have no adverse effect to their tribe's
9 cultural heritage, resources, or traditional cultural
10 properties. And at that same time, again in March 2025,
11 the Ft. McDowell Yavapai Tribe accepted an invitation
12 from us to meet and discuss the project. As a result of
13 that meeting they had no concerns that they expressed.
14 And then just two weeks ago the Pascua Yaqui Tribe
15 responded to our request to review the Class I research,
16 and they responded expressing their desire to be included
17 in future consultation on the project.

18 Other than those three tribes, no other tribes
19 have expressed an interest in further consultation on the
20 project or a preference for one alternative route or the
21 other. UNSE, of course, would plan to further consult
22 the Pascua Yaqui Tribe, once the route is approved and
23 once the Class III survey has been completed.

24 Q. Okay. Before we move forward with the virtual
25 tour, if you could please turn Exhibit UNS-7.

1 A. (MR. BRYNER) Okay.

2 Q. Does UNS-7 contain a thumb drive of the virtual
3 tour of this project?

4 A. (MR. BRYNER) Mine's missing, but I think it
5 does.

6 Q. Was the tour prepared by you or under your
7 direction and control?

8 A. (MR. BRYNER) Yes.

9 Q. How was the tour prepared?

10 A. (MR. BRYNER) So the tour was prepared using
11 commercially available software using Google Earth Pro.
12 We used the aerial imagery that was available in Google
13 Earth, it was acquired in March and April of 2025, so
14 fairly recent imagery. We developed a 3-D model based on
15 our preliminary engineering of the preferred route, and
16 we overlaid that into Google Earth, and then we also
17 added several line features to represent our proposed
18 500-foot-wide setting corridor around center line, as
19 well as a few labels just to provide some added context.

20 Q. Thank you. Go ahead and begin the tour of the
21 preferred route.

22 A. (MR. BRYNER) Okay. You can play it.

23 Okay. So we're going to zoom in on the Canoa
24 Ranch Substation, so just off to the left-hand side,
25 you'll see The Springs neighborhood, a couple homes right

1 there. The purple lines that you're seeing here, those
2 represent the 500-foot-wide siting corridor. Down the
3 middle you see a dashed purple line. That represents our
4 preliminary center line. On the right-hand side is the
5 Canoa Ranch Conservation Park. On the left-hand side
6 it's primarily been vacant State Trust Land, but there is
7 a little bit of scattering of private lands in here.

8 CHMN STAFFORD: Can you pause for a second?
9 Is this where we're running along Canoa Road?

10 MR. BRYNER: So we're in the alignment of
11 Canoa Road, so it's actually -- it is a road with a road
12 proceeding on it in this area, but it's not built.

13 CHMN STAFFORD: Okay. Okay, so that
14 answers my question, because you kept referring to a road
15 and I'm not seeing one. So it's a road alignment, so
16 it's a planned road. When do they plan to build this
17 road?

18 MR. BRYNER: I do not know.

19 CHMN STAFFORD: This is Pima County, right?
20 Yeah.

21 MR. BRYNER: This is Pima County, correct.

22 CHMN STAFFORD: And so they don't -- they
23 have a road that's going to go here, but they're not sure
24 when?

25 MR. BRYNER: Yes.

1 CHMN STAFFORD: Okay.

2 Member Comstock.

3 MEMBER COMSTOCK: Mr. Chairman, thank you.

4 In your CEC application, do you know if you parallel or
5 cross over any natural gas lines or hazardous material
6 lines in this area?

7 MR. BRYNER: We did not identify any
8 natural gas lines, any hazardous waste material lines,
9 anything along the preferred route.

10 MEMBER COMSTOCK: Back towards the
11 neighborhood where you first started, there are no
12 natural gas lines in that area?

13 MR. BRYNER: Not that we found in any of
14 our research.

15 MEMBER COMSTOCK: Thank you.

16 CHMN STAFFORD: Doesn't -- doesn't
17 UniSource Gas, do they serve gas in this area or is it
18 Southwest Gas?

19 MR. BRYNER: So UniSource Gas serves Santa
20 Cruz County. It does not serve Pima County. Southwest
21 Gas would serve Pima County.

22 CHMN STAFFORD: Okay. Thank you.
23 Apparently -- apparently not this area of Pima County,
24 though?

25 MR. BRYNER: Again, not according to

1 anything that we found.

2 CHMN STAFFORD: All right. Thank you.

3 MR. BRYNER: So can we continue?

4 So continuing south, again we're crossing
5 this vacant natural desert, Canoa Ranch County
6 Conservation Park. On the right-hand side Arizona State
7 Trust Land on the east or left-hand side.

8 So now you'll start seeing a couple of
9 scattered homes coming up. This is that Elephant Head
10 community, very low residential, low-density residential
11 area. Now you do see the alignment for Canoa Road where
12 it is built. Again, you'll see our structures located on
13 the west side, but the corridor would allow us to go on
14 either side of the road.

15 CHMN STAFFORD: And then pause it real
16 quickly. So I'm just making sure I recall the testimony
17 correctly that said that this neighborhood was more
18 concerned about their views towards the mountain than
19 seeing the line between them and the conservation park?

20 MR. BRYNER: So the only -- the only
21 comments that we received about views were about
22 protecting the views towards the Santa Rita Mountains.
23 So we did not receive any comments from this community
24 about views to the west towards the conservation park or,
25 as I stated previously, in the more distant background of

1 those -- the mine tailings. So I can't say whether or
2 not they have any concerns, but there were no expressed
3 concerns.

4 CHMN STAFFORD: Okay. That's fair enough.
5 I mean, you're not a mind reader. So -- and the
6 mountains they're to the east of this?

7 MR. BRYNER: Yeah, they're to the east.
8 You might be able to see them when we make a turn up
9 here.

10 CHMN STAFFORD: Okay. Thank you.

11 MR. BRYNER: So just past Quail Way here,
12 now we've left the neighborhood so we're just adjacent to
13 vacant lands on either side, jumping over to Mt. Hopkins
14 Road, now this area we share a common corridor with the
15 current 46-kV line that goes to the Kantor Substation.
16 We cross over into Santa Cruz County. We join a corridor
17 with the existing 138-kV transmission line from Vail to
18 Kantor. And so our plan would be to be located actually
19 on the 46-kV line, which currently parallels that 138-kV
20 line. So we would take that spot's position south to the
21 Kantor Substation. This is all Arizona State Trust Land
22 through this area.

23 CHMN STAFFORD: So you said that from
24 pretty much -- the term there to go --

25 MR. BRYNER: Going to pause.

1 CHMN STAFFORD: -- southwest is where it
2 crossed the county line and from that point on is pretty
3 much where you would co-locate the 46-kV?

4 MR. BRYNER: Essentially. So we jump from
5 the Elephant Head community at Elephant Head Road, and we
6 jump over to Mt. Hopkins Road, which kind of parallels
7 Elephant Head Road in that area. And the 46-kV line runs
8 along Elephant Head Road and then Mt. Hopkins Road. So
9 from that point forward, we would take the place of the
10 46-kV line right there with our 138-kV circuit, we
11 couldn't reuse those structures right there, but once
12 that 46-kV corridor joins with the 138-kV corridor, just
13 south of the county line, then we would be able to reuse
14 those 46-kV structures for this 138. It's built to a
15 single-circuit standard, not double-circuit standard like
16 we like, but it is capable of supporting the 944 ACSS
17 conductor.

18 CHMN STAFFORD: Okay. Thank you.

19 MEMBER LITTLE: Mr. Chairman?

20 CHMN STAFFORD: Member Little.

21 MEMBER LITTLE: So where are you going to
22 put the 46-kV? Are you going to underbuild?

23 MR. BRYNER: The 46-kV will be retired. It
24 will serve no purpose after this.

25 MEMBER LITTLE: Okay. Thank you.

1 MEMBER COMSTOCK: Mr. Chairman?

2 CHMN STAFFORD: Yes, Member Comstock.

3 MEMBER KRYDER: May we back up to the
4 last -- is that a floodplain? There it is right there.
5 Good backup. Is that a floodplain? Is that a wash?
6 What is that that you're crossing there? It looks like
7 the towers are elevated.

8 MR. BRYNER: So throughout that area,
9 Member Comstock, it's certainly various washes. This is
10 coming across the foothills of the Santa Rita Mountains
11 there's a number washes coming off of that across sort of
12 the alluvial band there, but this area, the color
13 differentiation, that's just a factor of the aerial
14 imagery that we're looking at. It's just a different
15 color aerial imagery right there.

16 MEMBER COMSTOCK: In general, sir, if
17 the -- when you cross a wash or something, what's the
18 height of the wire above the wash?

19 MR. BRYNER: It all depends. Typically --
20 typically when we're crossing washes, we're going to be
21 higher up, but it's not because we're trying to be more
22 elevated, it's because we're going to be located on
23 hillsides adjacent to those washes, which are going to be
24 more elevated.

25 MEMBER COMSTOCK: 100 feet?

1 MR. BRYNER: I couldn't speculate. There's
2 some rough areas out here with very steep hills that drop
3 down pretty deep.

4 MEMBER COMSTOCK: If you back up one more,
5 it looks like there's a significant wash -- maybe one
6 more than that. That -- stop right there, please -- that
7 looks like a pretty good-sized knoll, so that's a pretty
8 good wash that runs through there, I'm guessing?

9 MR. BRYNER: I would agree with that.

10 MEMBER COMSTOCK: How many poles are going
11 to be situated inside what may be the flow?

12 MR. BRYNER: So I think what you're
13 pointing out there is actually an upland area. So we
14 would not put any poles within those washes. We would
15 have them located in upland areas adjacent to washes.

16 MEMBER COMSTOCK: Here?

17 MR. BRYNER: Correct.

18 MEMBER COMSTOCK: Thank you.

19 MR. BRYNER: I think we ended at the Kantor
20 Substation, if you can -- Javier, if you can just
21 fast-forward to the Kantor Substation.

22 So I did just want to point out right here,
23 you can see the existing footprint of the Kantor
24 Substation as it exists today. We will need to expand
25 the Kantor Substation as part of this project so that it

1 can accommodate both a second line coming in from the
2 Canoa Ranch Substation, as well as a second line going
3 south as part of phase 3 of the project. And so we're
4 working with Arizona State Land to expand -- to expand to
5 the east of the existing footprint.

6 CHMN STAFFORD: And as we all know,
7 substations are nonjurisdictional to this committee.

8 MR. BRYNER: Correct. I think that's the
9 end of that tour.

10 CHMN STAFFORD: And now you're going to
11 show us the alternate route?

12 MR. BRYNER: Yes, we will.

13 MEMBER FONTES: Mr. Chairman?

14 MS. GRABEL: Not going to do the tour right
15 away.

16 CHMN STAFFORD: Member Fontes, did you have
17 a question?

18 MEMBER FONTES: I did. Wondering on the
19 existing right-of-way width and then have you forthcoming
20 any kind of concerns we need to take into consideration
21 on pole height structures, going back to Member
22 Comstock's? Because you're going to have to cross some
23 washes there, you might have to go with a higher pole
24 structure for some special areas due to the geography,
25 the contours, et cetera. So wondering if we're going to

1 see that in the upcoming testimony or is that going to be
2 covered -- when that's going to be covered.

3 MR. BRYNER: No, I didn't have any specific
4 testimony on that, but I'm happy to answer it. So our
5 structures in this area are going to be very similar.
6 Again, we have existing structures on the 138-kV line
7 there today. Those structures are typically between 75
8 and 95 feet tall. That will be sufficient in most cases
9 to get us anywhere. We did ask for structures up to
10 115 feet in height, just for special circumstances. We
11 don't anticipate any -- we don't have anything that high
12 in our preliminary engineering, but that would just give
13 us some flexibility if there's something that we didn't
14 account for that we learn about when we do our, you know,
15 our final analysis and our final engineering.

16 MEMBER FONTES: On the existing
17 distribution line or the -- do you have a right-of-way
18 already assigned or are you going to have to -- this
19 right-of-way will supersede it that you're asking for in
20 this CEC and how does that correspond?

21 MR. BRYNER: Yeah, sorry, I forgot about
22 that part of your question, Member Fontes. So the
23 existing 46-kV line does have a right-of-way, we would
24 need to amend that. It's not sufficient for the 138-kV
25 line.

1 MEMBER FONTES: And the 138-kV is a double
2 circuit, so you're probably going to want an additional
3 blow-out range there, as it comes off other
4 infrastructure? Just thinking through in terms of NERC
5 compliance and things that what you may look at with
6 WestConnect and those issues may pop up.

7 MR. BRYNER: Sure. So 138-kV line in this
8 area, so we're not going to touch the 138-kV line as part
9 of this project. But that line has right-of-way
10 sufficient for its -- its purposes as a double-circuit
11 line. For the 46-kV line that we would be replacing --
12 for the portion of the 46-kV line we would be replacing,
13 we would seek that same 100-foot-wide right-of-way to
14 accommodate the width.

15 MEMBER FONTES: I think you know where I'm
16 going. I'm trying to be anticipatory on what we can
17 accommodate on this CEC, as this is part of a series of
18 CECs that you may have to do for the two parts or the two
19 phases of line, so -- especially if you're going to
20 expand that substation too.

21 MR. BRYNER: Sure.

22 MEMBER FONTES: That's it, Mr. Chairman.

23 CHMN STAFFORD: Thank you.

24 I guess now we're prepared to see the
25 alternate route?

1 MR. BRYNER: We're actually not going to go
2 directly to the virtual tour of the alternate route,
3 we're going to tell you all about it and then we'll do
4 the virtual tour.

5 CHMN STAFFORD: Okay. I'm just -- in the
6 interest of time, because we're coming up on the time for
7 another break, and then we're going to want to talk about
8 whether we're actually going to do a physical tour
9 tomorrow, so I thought we'd want to get through the
10 virtual tours today to assist the committee in its
11 decision whether or not to take a physical tour.

12 MS. GRABEL: We can do the virtual tour of
13 the second route, that's no problem.

14 MR. BRYNER: Yeah, I'm happy to show it to
15 you.

16 CHMN STAFFORD: Okay. Let's do that and
17 then let's take our break and then we'll come back and
18 discuss whether we're going to do a real tour.

19 MR. BRYNER: Okay. So on to the
20 alternative route.

21 So the community you're seeing right here,
22 this is The Springs community. It's a little better view
23 than we saw from the last vantage point. And so you can
24 see the Canoa Ranch Substation there and we'll flip
25 around and start the tour.

1 So go ahead, Javier.

2 So, again, now we're seeing those same
3 lines, but they're in green now, representative of the
4 alternative route, but this is the 500-foot-wide
5 corridor. Same exact alignment as we saw for the
6 preferred route. You see it crossing the Union Pacific
7 Railroad tracks, there on the northern edge of the Canoa
8 Ranch Conservation Park, where you see that road cutting
9 to the right, that was Canoa Ranch -- or Canoa Road.

10 Now, we're deviating from the preferred
11 route here, heading to the east. So along here we're
12 going along section boundary lines through, again,
13 primarily State Trust Land. There is a little bit of
14 checkered private land in this area.

15 Cutting right here, we're actually on a
16 half-section boundary line on Arizona State Trust Land.
17 The gray line that you see coming up, that's not a road,
18 that's representative of the existing 138-kV transmission
19 line. Here we would need to duck underneath that line
20 with this new one. And then you can see the Elephant
21 Head community coming up right here.

22 So now it would be located on the west side
23 of the transmission line. So this alternative route
24 would now be in between the Santa Rita Mountains and that
25 residential community. And then we jog back to the west,

1 again, we're still on Arizona State Trust Lands, and you
2 might be questioning why didn't we just go down the
3 existing right-of-way with this alternative route? Why
4 are we doing these jogs? And it's because that existing
5 right-of-way, it won't accommodate a second transmission
6 line in it, and there's not enough room with where the
7 residential homes are at to expand that right-of-way to
8 acquire new for a second line, so we had to -- had to
9 deviate around it in those built-up areas.

10 So now we're coming to the edge of the
11 Elephant Head community, continuing south parallel to the
12 existing 138-kV line, coming up on the Santa Cruz County,
13 Pima County line. And the roadway we're crossing right
14 up here is the Mt. Hopkins Road. So that's, again, where
15 the preferred route comes in and this is the common
16 corridor with the preferred route going south to the
17 Kantor Substation.

18 CHMN STAFFORD: Member Little?

19 MEMBER LITTLE: I notice that this route
20 jogs a couple of places around private property, homes.
21 Did you hear specifically from those people, if you know?

22 MR. BRYNER: We did not hear specifically
23 from the people that we jog around right there. Again,
24 the jog-around wasn't to mitigate any community concerns,
25 it was because we couldn't build it within that corridor,

1 so that was the only way to be able to have a route
2 around that.

3 MEMBER LITTLE: Thank you.

4 CHMN STAFFORD: Yeah, because I've got to
5 say that -- along the existing 138-kV line where
6 you -- it looks like there's a -- your existing 138-kV
7 line crosses to the west of a parcel and then your new
8 line would go on both sides of that parcel on the west
9 and south, so that -- that guy, whoever that homeowner
10 is, would be completely surrounded in a triangle by
11 transmission lines.

12 MR. BRYNER: That's correct.

13 CHMN STAFFORD: And we haven't heard from
14 that landowner specifically?

15 MR. BRYNER: No, not specifically.

16 CHMN STAFFORD: I don't know, I think that
17 would certainly get my attention.

18 MEMBER LITTLE: Yeah.

19 CHMN STAFFORD: All right. Well, we're
20 coming up on 90 minutes here. I think -- are there any
21 quick questions from members before we take a break and
22 come back to discuss a physical tour?

23 (No response.)

24 CHMN STAFFORD: Seeing none. Let's take a
25 15-minute recess.

1 (Recessed from 4:33 p.m. until 4:50 p.m.)

2 CHMN STAFFORD: Let's go back on the
3 record.

4 All right. Members, we've seen the virtual
5 tour, I guess now's the time to decide whether or not we
6 would like to do an actual tour.

7 Ms. Grabel, I believe you've prepared an
8 itinerary?

9 MS. GRABEL: We have, Mr. Chairman. That
10 is exhibit number --

11 Do you have the exhibit number?

12 CHMN STAFFORD: 8.

13 MS. GRABEL: Exhibit Number 8. We would
14 anticipate leaving here probably shortly before 9:00. We
15 do have breakfast for the committee members if you're
16 interested, and we'd like to do a safety briefing, as we
17 normally do. We anticipate it being about a three-hour
18 tour, which always puts the Gilligan's Island theme song
19 in my head. And then after that we're going lunch, I
20 believe it's called Longhorn Grill, or something like
21 that, and then being back here probably around 1:30 or
22 2:00 to reconvene the hearing.

23 CHMN STAFFORD: All right. Members, anyone
24 in the room interested in a tour?

25 MEMBER LITTLE: Yes.

1 MEMBER MERCER: Yes.

2 CHMN STAFFORD: I'm seeing interested.

3 Okay. Let's plan on doing the tour.

4 Who will the witnesses be on the tour?

5 MS. GRABEL: Mr. Bryner.

6 CHMN STAFFORD: Just Mr. Bryner?

7 MS. GRABEL: I believe that's true.

8 MR. BRYNER: Yeah, the other witnesses will
9 be available to answer questions if you'd like, but I'll
10 be doing most of the talking.

11 CHMN STAFFORD: Okay. Because two of your
12 three have been sworn in, so --

13 MS. GRABEL: Should we swear in Ms. Mariñez
14 now just in case?

15 CHMN STAFFORD: If she plans on saying
16 anything on the tour, she would need to be sworn first.

17 MS. GRABEL: Probably a good idea. And
18 while she's moving up, I will ask the committee to excuse
19 me, I have a daughter at the U of A who has a medical
20 issue, I need to get her some attention tomorrow morning.
21 So I'll join you at the hearing when it reconvenes.
22 Mr. Ancharski will be there.

23 CHMN STAFFORD: Excellent.

24 Ms. Mariñez, would you prefer an oath or
25 affirmation?

1 MS. MARIÑEZ: Oath.

2 (Adriana Mariñez was duly sworn by
3 the Chairman.)

4 CHMN STAFFORD: Thank you.

5 All right. So we'll convene back here at
6 9:00 a.m. to embark on our three-hour tour.

7 MS. GRABEL: Mr. Chairman --

8 CHMN STAFFORD: Yes.

9 MS. GRABEL: Since do have a couple of
10 minutes, we were able to secure a couple of answers to
11 the outstanding questions if you have any interest?

12 CHMN STAFFORD: Excellent.

13 BY MS. GRABEL:

14 Q. Okay. Mr. Bryner, do you want to --

15 MEMBER DiCICCIO: Mr. Chair, quick
16 question.

17 CHMN STAFFORD: Member DiCiccio?

18 MEMBER DiCICCIO: We're going to convene
19 back at 5:30 today, then, is that it?

20 CHMN STAFFORD: Yes. Yes. Today after we
21 recess this time we will come back at 5:30 for public
22 comment.

23 MEMBER DiCICCIO: Okay. So if I'm not
24 there for tomorrow for the tour, we're going to convene
25 at 9:00, you're going to open up the meeting and then

1 leave or do you just want me on the call at 1:30 or so?

2 CHMN STAFFORD: Yeah, we're just going to
3 come back in the morning, we'll go on the record, we'll
4 get some -- we'll talk about what's going to happen with
5 the tour briefly, and then we'll go on the tour. And
6 then, depending on the length of tour, I guess, at the
7 last stop we'll announce what time we'll be back after
8 lunch. Right now we're looking at, I think, 1:30, so it
9 could be --

10 MEMBER DiCICCIO: Okay. Sounds good.

11 CHMN STAFFORD: -- it could be slightly
12 earlier or later, but we won't know until after the end
13 of the tour.

14 MEMBER DiCICCIO: Okay. That's fine. I'll
15 just -- if someone could just send me a text saying we're
16 on or we're about to get back, or something like that,
17 that would be great.

18 CHMN STAFFORD: Oh, yes, certainly.
19 Someone can shoot you note to tell you we're back on the
20 record in the hearing room.

21 MEMBER DiCICCIO: Thank you very much,
22 Mr. Chair.

23 CHMN STAFFORD: Thank you.

24 Ms. Grabel, you had some follow-up answers
25 to questions some members had posed earlier?

1 MS. GRABEL: We do, thank you,
2 Mr. Chairman.

3 Q. Mr. Bryner, would you like to give the committee
4 the answers to the questions that were asked? I know we
5 have one outstanding.

6 A. (MR. BRYNER) Sure. And hopefully I remember
7 these correctly. But Member Little asked a question
8 about the BTA studies and the requirement for UNSE to
9 monitor reliability; is that correct?

10 MEMBER LITTLE: Yes.

11 MR. BRYNER: So what we were able to find
12 out was there has been no -- that requirement has not
13 been lifted. So for a number of years -- we've always
14 been studying it and monitoring that. For a number of
15 years we were not proactively reporting that, we were
16 waiting until Commission Staff requested that information
17 from us, and then providing it. In the last two Ten-Year
18 Plan filings we provided that -- that -- the report on
19 reliability proactively to the Commission.

20 MEMBER LITTLE: Thank you.

21 MR. BRYNER: And then Member Fant, I
22 believe it was, asked a question about will phase 1 allow
23 us to not run the generation of Valencia and instead be
24 able to seek potentially cheaper sources of energy
25 elsewhere; is that correct? So the answer -- oh.

1 CHMN STAFFORD: I'm seeing nods yes.

2 MR. BRYNER: Thank you.

3 So the answer to that is yes, it will free
4 that up. As I mentioned before, the simultaneous import
5 limit or what we can bring in through the lines will
6 increase from 85 megawatts to 195 megawatts as a result
7 of phase 1. So today we are running generation
8 throughout the summer to support voltage in the area. So
9 that brings what we're able to serve to 165 megawatts
10 with the line plus the generation, since the line alone
11 with phase 1 will now be 195 megawatts, we will not have
12 to run that for those purposes. So if there's an option
13 or an opportunity to seek cheaper energy resources
14 elsewhere, then we'll have that flexibility.

15 MEMBER FANT: Thank you, sir.

16 MR. BRYNER: And, as Ms. Grabel mentioned,
17 I think there was one other question outstanding
18 about -- oh, about the load profile and we are working on
19 getting an answer to that still.

20 CHMN STAFFORD: Thank you.

21 Any other additional questions from members
22 at this time?

23 (No response.)

24 CHMN STAFFORD: All right. With that,
25 let's take a recess until 5:30, at which time we'll

1 reconvene and take public comment.

2 We stand in recess.

3 (Recessed from 4:56 p.m. until 5:30 p.m.)

4 CHMN STAFFORD: Let's go back on the
5 record.

6 Now is the time set for public comment in
7 Line Siting Case 252. Are there any members of the
8 public in the room that wish to make comment on the
9 application?

10 (No response.)

11 CHMN STAFFORD: Seeing none. Are there any
12 online or on the phone?

13 AV TECHNICIAN: There are none.

14 CHMN STAFFORD: All right. Well, we will
15 remain here until 6:00 to allow the public the
16 opportunity to make comment, so -- but in the meantime,
17 we will go off the record and then if someone shows up to
18 make comment, we'll go back on the record and take that
19 comment.

20 We'll go off the record.

21 (Recessed from 5:31 p.m. until 5:49 p.m.)

22 CHMN STAFFORD: Let's go back on the
23 record.

24 Mr. Carl Ortiz is here to make public
25 comment.

1 THE REPORTER: Your microphone's not on.

2 CHMN STAFFORD: Can you please introduce
3 yourself and spell your last name for the court reporter?

4 MR. ORTIZ: Spell it?

5 CHMN STAFFORD: Yes.

6 MR. ORTIZ: Okay. Carl Ortiz, O-r-t-i-z.

7 Okay. Yeah, I live in Elephant Head and --
8 well, 1821 West Quail Way. And my preference and my
9 wife, I'm sure, would be the purple route, as opposed to
10 the green route. I also have many neighbors that would
11 prefer that as well. They would be affected if the green
12 route was done. So that's about it. Okay.

13 CHMN STAFFORD: Thank you.

14 MR. ORTIZ: Okay.

15 MEMBER LITTLE: Thank you, sir.

16 CHMN STAFFORD: I guess we'll still -- we
17 still have 10 minutes left to wait for public comment,
18 and we'll just go off the record until someone else shows
19 up.

20 (Recessed from 5:50 p.m. until 6:00 p.m.)

21 CHMN STAFFORD: All right. Let's go back
22 on the record.

23 It is now 6:00 and no more members of the
24 public are here to make public comment in person or
25 virtually. With that, we will recess until tomorrow

1 morning at 9:00 a.m. We will reconvene in this room, and
2 the applicant will give us our safety briefing and then
3 we'll embark upon our tour. So is any -- I guess that
4 will be it for today.

5 We stand in recess. Thank you.

6 (The hearing recessed at 6:00 p.m.)

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 STATE OF ARIZONA)
2 COUNTY OF MARICOPA)

3

4

5 BE IT KNOWN that the foregoing proceedings were
6 taken before me; that the foregoing pages are a full,
7 true, and accurate record of the proceedings all done to
8 the best of my skill and ability; that the proceedings
9 were taken down by me in shorthand and thereafter reduced
10 to print under my direction.

11 I CERTIFY that I am in no way related to any of
12 the parties hereto nor am I in any way interested in the
13 outcome hereof.

14 I CERTIFY that I have complied with the ethical
15 obligations set forth in ACJA 7-206(F)(3) and ACJA 7-206
16 (J)(1)(g)(1) and (2). Dated at Phoenix, Arizona, this
17 8th day of November, 2025.

18

19

20


21

22

23

24

25



ROBIN L. B. OSTERODE, RPR
CA CSR No. 7750
AZ CR No. 50695

* * * * *

18 I CERTIFY that Glennie Reporting Services, LLC,
19 has complied with the ethical obligations set forth in
20 ACJA 7-206(J)(1)(g)(1) through (6).

21

22

23

24

25



GLENNIE REPORTING SERVICES, LLC
Registered Reporting Firm
Arizona RRF No. R1035